

U.S. CHEMICAL SAFETY AND HAZARD

INVESTIGATION BOARD

+ + + + +

BOARD OF INQUIRY

+ + + + +

MORTON SPECIALTY CHEMICAL
(ROHM AND HAAS) INCIDENT

+ + + + +

PUBLIC REVIEW OF FINDINGS

+ + + + +

Tuesday, July 18, 2000

+ + + + +

The Board met, pursuant to notice, at 9:00
a.m., at City Hall, 155 Market Street, Paterson, New
Jersey, Dr. Andrea Kidd Taylor presiding.

BOARD MEMBERS PRESENT:

DR. ANDREA KIDD TAYLOR

DR. PAUL HILL

DR. GERALD POJE

CHRIS WARNER, ESQ.

NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

C-O-N-T-E-N-T-S

	<u>PAGE</u>
Introduction, Dr. Andrea Kidd Taylor	3
Welcoming Remarks, Mayor Martin G. Barnes	9
Background and Chronology of Morton Incident, David Heller	12
Reactive Chemical Analysis, Richard Wedlich	48
Chemistry of the Process, David Heller	61
Process Safety Management Systems Analysis, David Heller	72
Root and Contributing Causes and Recommendations, William Hoyle	107
Presentation of Mike Flynn	124
Presentation of John Rosen	129
Public Comment:	
Glenn Erwin	132
Diane Stein	138
Dr. Phil Lewis	142
Ted Carrington	150
Bill Kane	153
Sgt. Eric Zimmerman	158
Jim Nash	163
Ray Stever	165
Eric Frumin	167
Jim Gannon	174
Andrew Morabito	176
Syl Turicchi	180

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(9:00 a.m.)

DR. TAYLOR: Good morning. We're going to get this meeting started.

I'd like to welcome everyone to this public meeting of the United States Chemical Safety and Hazard Investigation Board.

The subject of today's meeting is the 1998 accident of Morton International here in Paterson, New Jersey.

I am Dr. Andrea Taylor, and I will be chairing today's meeting on behalf of the Board. With me today on the podium are my fellow Board members: Dr. Paul Hill, to my left, your right; Dr. Gerald Poje; and our Chief Operating Officer and General Counsel, Mr. Chris Warner.

I would also like to acknowledge the presence in the audience of our fellow Board member, Dr. Irv Rosenthal. Dr. Rosenthal has recused himself from deliberating and voting on the Morton investigation due to his past association with Rohm and Haas, which has since acquired Morton International.

Today's meeting is an opportunity to witness the presentation of findings to Board members from the Board staff investigating the Morton case.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The Board will vote within the next several weeks to
2 accept, modify, or reject the report of the staff.

3 Many of you are already familiar with the
4 U.S. Chemical Safety Board. I will be brief in
5 describing who we are and what we do.

6 We are an independent agency of the federal
7 government authorized in the 1990 Clean Air Act
8 amendments and funded by Congress in 1997. Our mandate
9 is to investigate and report the causes of serious
10 chemical accidents, accidents that cause deaths and
11 injuries to workers, endanger the public, destroy
12 property or damage the natural environment.

13 We have a maximum of five sitting Board
14 members appointed by the President and a professional
15 staff which includes investigators, lawyers, engineers,
16 and support personnel.

17 The Board does not issue regulations or
18 fines, and we do not find fault in our investigations.

19 By law, the conclusions and recommendations of a Board
20 report may not be used as evidence in civil liability
21 litigation.

22 Our role is threefold. We investigate
23 accidents thorough and ascertain their root causes. We
24 report our findings to the public, the government, and
25 the affected communities, and based on our findings, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 make safety recommendations to government agencies,
2 industry, trade associations, and others.

3 While exact statistics do not yet exist, we
4 do know that chemical accidents are a serious problem
5 in this nation. There are at least 100 serious
6 chemical accidents at fixed facilities in the U.S. each
7 year. Nationally chemical accidents result in around
8 \$1 billion worth of insured property losses each year.

9 Total financial losses, insured and uninsured, are
10 much higher.

11 The Board's overarching goal is prevention.

12 We know that most chemical accidents are preventable,
13 but in many cases people simply lack important
14 knowledge about the causes of previous serious
15 accidents.

16 The result, unfortunately, is that similar
17 accidents recur unnecessarily.

18 We are gathered here this morning in
19 Paterson to hear the findings of the CSB investigative
20 staff regarding and serious chemical accident which
21 occurred on April 8th, 1998, at the Morton
22 International plant not far from where we sit here
23 today.

24 The Board investigation of the Morton case
25 has taken some 27 months to reach this closing phase.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The Board's goal for the future is to improve
2 investigative process and issue reports much more
3 quickly.

4 In the case of the Morton accident, the
5 Board was only eight weeks old on the day of the
6 accident and was operating with a skeleton staff of
7 just five people.

8 The investigative process is complex and
9 painstaking, and conclusions are never available as
10 soon as any of us would like. The Board has made
11 considerable progress in just the last few months
12 recruiting additional skilled investigators. With our
13 new staff, we will be able to increase the number of
14 reports which are issued and also reduce the time
15 required for their completion.

16 Today we will hear the findings of the
17 Board investigation team which has been studying the
18 Morton accident for the past two years. We will hear
19 presentations from three staff: Mr. David Heller, the
20 lead investigator; Mr. William Hoyle, the Board's head
21 of Investigation and Safety Programs; and Mr. Richard
22 Wedlich, a Board consultant with Chilworth Technology,
23 Incorporated.

24 Board members will have an opportunity to
25 question the staff at intervals during the presentation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or at its conclusion. I will request Board members to
2 direct their remarks strictly to the subject at hand,
3 the Morton case, and to limit each question period to
4 five minutes, and I'm going to be very strict about
5 those five minutes, Board members.

6 After the final question period and closing
7 remarks, there will be an opportunity for interested
8 members of the public to provide brief comments for the
9 record.

10 The Board will also entertain written
11 comments on the investigation thereafter. If you wish
12 to submit a written comment, you must do so no later
13 than this Friday, July 21st. Again, submit your
14 comments no later than Friday, July 21st.

15 Nothing in this investigation should be
16 regarded as final or conclusive until the Board as a
17 whole has had the opportunity to vote on the staff
18 report some time in the next several weeks. If the
19 report is approved, it will be published immediately
20 and will be available by contacting the Board or
21 visiting our Web site, which is www.chemsafety.gov.

22 Many of you here have some familiarity with
23 the Morton accident. On the evening of April 8th,
24 1998, a violent explosion occurred at the Morton plant
25 injuring nine workers and releasing chemicals into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 surrounding community. The resulting fire took almost
2 three hours to bring under control.

3 The explosion occurred in a 2,000 gallon
4 reactor which experienced a runaway chemical reaction.

5 We are all conscious of the tragic incident which
6 occurred at Napp Technologies in Lodi, New Jersey, on
7 April 21st, 1995. The Lodi accident claimed five lives
8 and injured many more. This accident also involved a
9 runaway chemical reaction. So it is entirely fitting
10 that we meet here in New Jersey to hear the results of
11 this investigation on the Morton accident.

12 Let me thank several organizations which
13 have contributed to the Morton investigation. The
14 Board has worked successfully with the Environmental
15 Protection Agency, EPA; OSHA, the Occupational Safety
16 and Health Administration; Morton Chemical; and PACE,
17 the Paper Allied Industrial, Chemical, and Energy
18 Workers International Union; and with local emergency
19 response organizations.

20 We have also received contract support from
21 the Department of Energy's Oak Ridge National
22 Laboratory and from NASA.

23 I would also like to acknowledge the
24 presence of staff representing the New Jersey
25 congressional delegation. We thank them very much for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 their interest in the Board and in this accident
2 investigation.

3 I believe several of you have brought
4 statements from your members that you would like to
5 read, and I will invite you to do so later this
6 morning.

7 Finally, let me thank Mayor Barnes and the
8 city administration of Paterson not least for making
9 available their council chambers for this meeting.

10 With that, let me recognize Mayor Barnes,
11 who is in our audience. Mayor Barnes.

12 MAYOR BARNES: Good morning, Board.

13 We wanted to come by this morning to
14 welcome all of you to the City of Paterson. We have
15 been able to look at some of the things that we've
16 gotten so far, and we think this is going to be a very
17 productive meeting.

18 So we're asking everyone to pay attention
19 to see what's going on, and it's real important for all
20 of us to understand.

21 But on behalf of all of the people of the
22 City of Paterson, we want to thank you for your swift
23 investigation and review and to keep us informed. So
24 thank you very much.

25 DR. TAYLOR: Thank you, Mayor Barnes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Thank you for those comments. Thank you for coming.

2 (Applause.)

3 DR. TAYLOR: With that, I'd like to
4 recognize my fellow Board members for remarks that they
5 may have.

6 Dr. Hill.

7 DR. HILL: Yes, thank you, Dr. Taylor. I
8 will be very brief this morning.

9 I know it has been a long road to get to
10 this point, and we've had our share of difficulties,
11 but we're all here today to hear from the investigative
12 team, and I'm just pleased that we have reached this
13 very important milestone in this particular accident
14 investigation such that something productive will come
15 out of it hopefully, and we can provide recommendations
16 to insure that this type of accident does not happen
17 again.

18 I'm certainly anxious to hear from the
19 team, as I'm sure people in the audience are. I
20 welcome them, as well as others who may provide
21 comments on this particular investigation as a result
22 of Dave's presentation, and I look forward to hearing
23 from the team.

24 Thank you.

25 DR. TAYLOR: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Dr. Poje.

2 DR. POJE: If I could just echo those
3 remarks, I'm very eager and happy to be here, thanks to
4 the Mayor and the city for providing this wonderful
5 space for us to do this presentation.

6 I think I would just like to say that the
7 importance of the Morton incident is the lessons that
8 we're going to learn from it. I'm eager to hear the
9 presentation from our staff who have worked diligently
10 to bring this product to the floor today.

11 But I also would like to reiterate what
12 Andrea has said, which is that this is a pre-decisional
13 meeting. It's a presentation to be educational for us,
14 as well as for the audience, and the Board members will
15 ultimately have to make decisions about this report.

16 Therefore, you should know that the Board
17 members individually will make those decisions, and we
18 welcome input from all of you or any of you on any
19 matter or aspect of this investigation. During the
20 break you can meet with us and feel free to get our
21 cards. If you want to provide us with additional
22 information, we'd welcome it, but clearly we share your
23 enthusiasm about this becoming complete in a very short
24 time framework. So we would like to work as
25 expeditiously as possible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Once again, thank you all for appearing
2 here.

3 DR. TAYLOR: Thank you, Dr. Poje.

4 I will now turn this meeting over to our
5 lead investigator, David Heller.

6 MR. HELLER: Thank you, Dr. Taylor and Dr.
7 Poje, Dr. Hill.

8 On Wednesday, April 8th, 1998, at 8:18
9 p.m., an explosion and fire occurred during the
10 production of automate Yellow 96 at the Morton
11 International plant in Paterson, m new Jersey. The
12 explosion and fire were the consequence of the runaway
13 reaction of ortho-nitrochlorobenzene, or ONCB, with 2-
14 ethylhexylamine, or 2-EHA.

15 Now, these are chemicals that have somewhat
16 low reactivity by themselves, but in combination, we
17 found that they were very reactive.

18 They over-pressured a 2,000 gallon kettle
19 or reactor and released flammable material that
20 ignited.

21 Because of the serious nature of the
22 incident, including injuries to nine employees, the
23 release of potentially hazardous materials into the
24 community, and damage to the plant, the Chemical Safety
25 and Hazard Investigation Board initiated an incident

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 investigation.

2 Now, the purpose of the investigation was
3 to identify the root causes of the incident and make
4 recommendations to prevent similar incidents. This is
5 a picture taken from the night of the incident. On the
6 left is the building that experienced the fire. The
7 fire fighters are just getting their attack going
8 there.

9 This morning we'll be presenting to the
10 Board a review of the incident, the key findings
11 developed by the investigation, our determination of
12 the root and contributing causes of the incident, and
13 our preliminary recommendations to Morton, OSHA, EPA,
14 and others to prevent a recurrence.

15 My name is David Heller. I'm an
16 investigator with the Chemical Safety Board, and I come
17 to the Board after 24 years in the private sector. My
18 background is chemical engineering. I've been in the
19 safety field for about the last 16 years.

20 Engineering experience included work as a
21 production engineer, process engineer, technical
22 manager, and in safety I've served as safety manager at
23 multi-unit chemical plants and as manager of process
24 safety and manager of loss prevention in the corporate
25 safety offices of multinational chemical companies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'd like to introduce my fellow presenters.

2 First, Mr. Richard Wedlich. Richard is the senior
3 process safety specialist at Chilworth Technologies,
4 Incorporated, and Mr. Wedlich will be presenting the
5 results of work conducted by Chilworth to examine the
6 thermal hazards of the Morton process.

7 Secondly, Mr. William Hoyle, who is the
8 Chemical Safety Board's Director of Investigations and
9 Safety Programs, and he'll be presenting the Chemical
10 Safety Board's recommendations.

11 Let me say a few words about our
12 investigation process. The Chemical Safety Board
13 received and shared information with OSHA, EPA, and
14 local emergency response organizations. We examined
15 physical evidence from the incident. We conducted
16 interviews with Morton personnel, and we reviewed
17 relevant documents obtained from Morton.

18 We were assisted in our field work by
19 contractors from the Department of Energy's Oak Ridge
20 National Laboratory and the NASA, National Aeronautics
21 and Space Administration, or NASA's White Sands test
22 facility. The laboratory testing of the Yellow 96
23 process and processed materials was conducted for us by
24 both the White Sands test facility and Chilworth
25 Technology, Incorporated.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Also, at this point I'd like to acknowledge
2 and thank the following organizations who assisted us
3 or provided information during our work: EPA Region 2
4 and EPA's CEPO (phonetic) office; OSHA Region 2 and the
5 OSHA Process Safety Services Group; Passaic County
6 Department of Health; Paterson Fire and the Police
7 Departments; the United Kingdom's Health and Safety
8 Executive; the Center for Chemical Process Safety;
9 PACE, the Paper Allied Industrial Chemical and Energy
10 Workers International Union; and Morton International.

11 What I'd like to do now is summarize the
12 root and contributing causes of the event to give you
13 all a context as we present the details of the case.

14 First, neither the preliminary hazards
15 assessment conducted by Morton and Paterson during the
16 design phase in 1989, nor the formal PHA conducted in
17 1995 addressed the reactive hazards of the Yellow 96
18 process, and not addressing these hazards resulted in
19 design, operational, and training deficiencies. The
20 kettle did not have adequate cooling capacity to handle
21 the exothermic synthesis reaction to make the Yellow
22 96, and an exothermic reaction or exotherm generates
23 heat as a byproduct of the chemical reaction.

24 The kettle was not equipped with safety
25 equipment such as a quench system or a reactor dump

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system to stop the process to avoid the runaway
2 situation.

3 Rupture disks, and these are safety devices
4 which are put on the kettle and are designed to open
5 under high pressure to protect the equipment and
6 personnel from a catastrophic failure of the vessel;
7 well, the rupture disks on the vessel involved in the
8 incident were too small to safely vent the kettle.

9 Operating procedures. The operators used
10 to run the process did not cover the safety
11 consequences of deviations from normal operating limits
12 that could lead to a runaway reaction or the steps to
13 be taken to avoid or recover from such deviations, and
14 training did not address the possibility of a runaway
15 reaction and how operators should respond.

16 The process safety information provided to
17 the plant operations personnel and the team doing the
18 formal PHA did not warn them of the potential for a
19 dangerous runaway chemical reaction. Morton
20 researchers had documented that the desired reaction to
21 form Yellow 96 was exothermic, and that Yellow 96 would
22 begin to decompose rapidly or run away at temperatures
23 close to the upper operating limit -- operating
24 temperature.

25 And the operators and supervisors were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 unaware that a dangerous and undesired decomposition
2 reaction was possible. Now, decomposition reaction
3 occurs when a chemical breaks down into smaller
4 molecules after being exposed to an elevated
5 temperature, and liberation of large amounts of heat
6 and the generation of high pressure may accompany
7 decomposition reactions.

8 Third, process development did not address
9 important aspects of the reactive hazards. Morton
10 converted their process during the design phase from a
11 staged addition or semi-batch process to a staged
12 heating or batched process without adequately assessing
13 the possible hazards of this change, and it likely
14 would have been easier to control the heat outfit from
15 the semi-batch process than the batch process.

16 Also, Morton did not investigate whether
17 the kettle had sufficient heat removal or venting
18 capability.

19 We also identified two contributing causes.

20 Contributing cause number one, the hazards of
21 operational deviations were not evaluated. Mansurin
22 (phonetic) did not investigate evidence in numerous
23 completed batched sheets and temperature charts of high
24 temperature excursions beyond the normal operating
25 range.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And Morton did not follow their management
2 of change procedures to review changes made in the size
3 of the kettle and the size of the batch. Morton
4 changed the Yellow 96 processing equipment from 1,000
5 gallon kettles to 2,000 gallon kettles and increased
6 the batch size by nine percent in 1996, and they did
7 not use their existing management of change procedures
8 and did not review the changes for possible
9 consequences.

10 Now some background on the Morton facility
11 and the Yellow 96 equipment in process. Morton
12 International, Incorporated was a major salt producer
13 and the maker of specialty chemicals for a variety of
14 applications. Morton developed the automate Yellow 96
15 dye product in the 1980s, and combined with other dyes,
16 automate Yellow 96 produces bright green shades of die,
17 and they're used to tint fuels.

18 Morton does not make Yellow 96 at this
19 time. However, the lessons learned from this
20 investigation are certainly important for the chemical
21 processing industry as a whole.

22 I should add at this point that the
23 Chemical Safety Board is not presenting certain details
24 of the Yellow 96 process or the process chemistry due
25 to Morton's assertions of confidential business

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information.

2 And also, as Andrea mentioned, in February
3 1999, Morton became a wholly owned subsidiary of Rohm
4 and Haas.

5 DR. TAYLOR: David.

6 MR. HELLER: yes.

7 DR. TAYLOR: I just wanted to ask: can
8 everyone hear in the back? I see some straining. Can
9 you pull it just a little bit up closer to your --
10 okay. There you go.

11 MR. HELLER: All right. We'll try that.

12 The Paterson facility is located in Passaic
13 County. It's on a nine acre site surrounded by other
14 industrial establishments and residential homes. From
15 this aerial view, we can see the plant is bordered on
16 the west by New Jersey Route 20. That's McLean
17 Boulevard, and on the east by the Passaic River.

18 The accident occurred in Building 11, which
19 is one of the three floor building on the east end of
20 the site, and kettle seven was in this upper quadrant
21 here. Again, this is the Passaic River right out here.

22 Industrial dye products that were
23 manufactured in the plant are by batch processing, and
24 mixing occurs in reaction vessels, again, called
25 reactors or kettles. Various raw materials are mixed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the kettles, and heat is applied to drive the
2 reaction process.

3 The resulting dyes are further processed
4 after the reaction step to remove residual chemicals
5 and waste products, and the final product is put into
6 drums or transferred into storage tanks, and it's
7 either shipped off site at this point or blended with
8 other products to produce other colors.

9 Now, again, I noted that from 1990 to 1996
10 Morton produced the material in various 1,000 gallon
11 kettles. In September 1996, they switched to 2,000
12 gallon kettles, and that was to minimize color
13 contamination which you can get if you're making
14 different chemicals in the same reactor.

15 Kettle number seven was the kettle that was
16 involved in the incident, K-7, and that was one of the
17 2,000 gallon kettles.

18 This is a simplified flow sheet of the
19 process with the reactor there in the center. The
20 kettle K-7 was designed and manufactured in 1962. The
21 interior of the kettle was glass lined to prevent
22 corrosion of the carbon steel shell and heads. A
23 heating and cooling jacket surrounded the outside of
24 the kettle.

25 This is an annular space, sort of like a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thermos bottle. This surrounds the outside of the
2 kettle, and steam or cooling water would go into this
3 area so that it wouldn't contact the materials inside
4 the batch to provide steam for heating or cooling
5 water, obviously for cooling of the batch.

6 The kettle had a maximum allowable working
7 pressure of 100 pounds per square inch, and the rupture
8 disks, again, the safety devices on the kettle, were
9 set for ten pounds per square inch.

10 And to give you an appreciation of the
11 scale and the operator's movements as we get into the
12 time line of the event, the diameter of the kettle with
13 the jacket was about seven feet.

14 Nozzles were located on the jacket for the
15 steam and the cooling connections and also on the top
16 head of the kettle to provide piping connections. So
17 on the top there was one single speed agitator that
18 would have extended down. You can see still on the
19 schematic the agitator extending down into the kettle,
20 and also there was a man-way. This was a 14 by 18 inch
21 man-way, and it was bolted on by four C type clamps.

22 Now, on the other nozzles on the top of the
23 kettle, there was a thermocouple for measuring
24 temperature. I'll talk about that more in a minute.
25 This was a nozzle for the rupture disks to extend away

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the kettle. D was a return from the overhead
2 condenser. E is a raw material feed port. F was the
3 two inch vent line, vent for the kettle. G was the
4 line to the overhead condenser, and this was a glass
5 line. You'll see a picture of that later on, and
6 there's another raw material feed that you can't see
7 that's hidden behind the agitator.

8 The kettle extended vertically from the
9 second floor down to the ground level, and the
10 operators would work from the second floor deck. You
11 can see the dotted line is the second floor deck up
12 here. So they had access to the tops, the top of the
13 kettles, the man-way, and the instrumentation, and the
14 valve handles from the cooling and the steam were
15 pulled up through the deck so that the operators could
16 have access to those valves even though the valves
17 themselves were underneath this second deck which was a
18 steel grating.

19 Okay. So the cooling water and the steam
20 flow are controlled by manually operated valves, and
21 the operators determine the degree to which these
22 valves were opened based on their experience in running
23 the process, and also the timing of switching from a
24 heating to cooling and back was also based on the
25 operator's experience.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, reactor instrumentation provided
2 measurements of the reactor temperature, the reactor
3 pressure, and the cooling water pressure. And
4 temperature was measured by one thermocouple which was
5 connected to two temperature readouts.

6 There was a circular chart in this box
7 here, and that chart could record temperatures up to
8 150 degrees Centigrade, and then it was maxed out, and
9 you couldn't see anything above that.

10 The operators also had a digital readout in
11 this small, rectangular box that was also on that same
12 box with the temperature chart.

13 Now, the kettle was not equipped with
14 temperature or pressure alarms, and there were no
15 automatic shutdown devices, and everything you hear in
16 the presentation will be in degrees Centigrade or
17 Celsius unless I specifically mentioned that it's
18 Fahrenheit.

19 Let me break at this point before we get
20 into the time line of the incident and see if there's
21 any questions from the Board.

22 DR. TAYLOR: I have one. I wanted to ask
23 about the temperature gauge. Where was it located
24 exactly?

25 MR. HELLER: Right. That's on the wall.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So it was the kettle -- you have the kettle in front of
2 the operators and then the temperature gauge was on the
3 wall behind the kettle.

4 DR. TAYLOR: Behind the kettle. Okay.

5 And then the second question was regarding,
6 again, how the cooling versus the heating of the --

7 MR. HELLER: Right. I'll explain that in
8 quite a bit more detail as we get into time line and as
9 the operators went through those various steps, and I
10 have some schematics that show that a little clearer.

11 DR. TAYLOR: Okay. Other Board member
12 questions?

13 DR. POJE: Yeah. Can you tell us what the
14 assertion of confidential business information meant in
15 terms of your ability to draw findings and
16 recommendations?

17 MR. HELLER: It really didn't affect the
18 results of the investigation. Our findings and
19 conclusions really weren't critical to the findings and
20 conclusions of the investigation. So it was not an
21 issue for us to protect those claims.

22 DR. POJE: And one more thing. Did you
23 notice anything unusual about the mechanical integrity
24 of any of the equipment that would indicate a potential
25 failure that was out of the norm?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HELLER: No, there was nothing that we
2 saw in our investigation or in the materials we
3 obtained that indicated anything untoward on the
4 equipment.

5 DR. TAYLOR: Other questions?

6 (No response.)

7 DR. TAYLOR: Okay.

8 MR. HELLER: I would like to now get into a
9 description of the incident itself. On April 8th, the
10 second work shift started at 4:00 p.m., and during this
11 shift Yellow 96 was going to be prepared in kettle K-7.

12 Plant batches had been numbered
13 sequentially from the beginning of production in 1996,
14 and this was going to be Batch No. 32.

15 The operators used batch sheets for step-
16 by-step guidance in performing the process. The batch
17 sheets were written and approved by plant management
18 and supervision and operations personnel. The Yellow
19 96 batch was about nine pages long and included
20 processing steps following the reaction that are not
21 germane to our discussion, and those were the clean-up
22 and the final processing to get the product ready for
23 sale.

24 The batch sheets also had abbreviated
25 safety data sheets, and they listed the key health

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hazards and personal protective equipment for raw
2 materials and the products, and on the batch sheets,
3 the operators record the time when each step began and
4 ended, the temperature of the kettle contents during
5 that step, and their initials and also their comments,
6 if they had any, on the batch at that point in time.

7 And the batch sheets for Batch 32 were not
8 recovered after the incident.

9 Now, both operators involved in the
10 incident had made Yellow 96 before. The lead operator
11 had 31 years of plant experience, and the assistant
12 operator had more than three years of plant experience.

13 Before beginning the batch, again, Batch
14 32, the kettle was inspected, and the operators did
15 that by looking down through the man-way to insure that
16 it was clean and empty, and they reported that it was,
17 and the kettle at this point was at ambient temperature
18 of the room.

19 Once they had done that inspection, the
20 operators closed the man-way and clamped it, and again,
21 we saw earlier the four C clamps that were used to bolt
22 down the hatch.

23 And the first processing step after that
24 was the addition of the ortho-nitrochlorobenzene, or
25 ONCB, to the kettle.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, ONCB has a melting point of 32 degrees
2 C., which is about 90 degrees Fahrenheit, and so it
3 would have been a solid at room temperature. So in
4 order to process it, the drums were placed in a hot box
5 for several days to be melted before use, and the hot
6 box was an enclosed room with a steam heater, and it
7 was large enough to contain the drums.

8 The drums were taken out of the hot box
9 then this afternoon, and they were brought up by fork
10 lift to the building and by the building elevator up to
11 the second floor, and only the Yellow 96 operators and
12 their material handling helpers remained in the
13 building during the addition of the ONCB, and they wore
14 protective equipment.

15 Operators running the other processes in
16 the building left the building to avoid exposure to
17 ONCB vapors, which is toxic.

18 A vacuum was used to draw the ONCB from the
19 supply drums into the kettle, and that was using a
20 combination of piping and flexible hose. At this point
21 the vessel agitator was started, and it remained on
22 through the balance of the operation.

23 The transfer to the ONCB was normal. It
24 took about 30 minutes, until 5:15 p.m., and once the
25 transfer of the ONCB was completed, the temperature

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inside the kettle was reported by one operator to be,
2 quote, 60-something degrees, almost 70, and by the
3 second operator it was about, quote, 44 degrees.

4 And I'd like to note here that these sorts
5 of discrepancies in times and temperatures reported by
6 operators and supervisors and interviews, it's not
7 unusual in this incident; it's not unusual in any
8 incident, and given the stress of the situation as
9 you'll see in a few minutes, it's completely
10 acceptable.

11 And our time line here is really our best
12 estimate of the times and temperatures of the event.
13 Now, after the ONCB was added to the kettle, the Yellow
14 96 operators left the building, and the building was
15 kept empty for about 30 minutes to air out the working
16 areas, again, due to the toxicity of the ONCB.

17 At six o'clock, the operators returned to
18 the building, and the next processing step was the
19 addition of the 2-ethylhexylamine, or 2-EHA, and the
20 operators opened the kettle vent to insure there was no
21 build-up of pressure when the 2-EHA was added, and the
22 operators left this vent open during the duration of
23 the operation, allowing the process to be performed at
24 atmospheric pressure.

25 And appropriate valves from the 2-EHA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 underground storage tank were opened. Digital pump
2 delivery meter was set, and the material was added, was
3 pumped into the kettle, and that transfer took about 25
4 minutes.

5 And after adding the 2-EHA, the operators
6 left the building for dinner, returned about 7:35.

7 Now, following the addition of the 2-EHA,
8 which was at ambient temperature, the operators stated
9 that the mixture in the kettle was now about 44 to 48
10 degrees Centigrade.

11 Now, as we'll see, the onset temperature
12 for this desired synthesis reaction is 38 degrees
13 Centigrade, and so it was likely that the reaction to
14 produce Yellow 96 was already occurring, albeit at a
15 very low rate at this point in time.

16 Now, the onset temperature of a reaction is
17 the temperature at which a reaction becomes capable of
18 sustaining itself with no input of external heating.

19 Also, you should note that the 2-EHA is a
20 combustible material and has a flash point of 52
21 degrees C., and ONCB has a flash point of 127. So both
22 substances were above their flash points during a
23 portion of the normal process and during the runaway
24 event, and flash point is the temperature at which a
25 substance generates sufficient vapors to ignite given

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the presence of an ignition source and air.

2 The staged heating procedure used by Morton
3 to produce Yellow 96 started with an initial heat-up of
4 the reaction mixture to 90 degrees C., with gradual
5 increases thereafter to 100 to 150 degrees C. This
6 processing step was designed to raise the temperature
7 slowly, and the expected reaction time for a batch was
8 six to eight hours.

9 So at approximately 7:40 p.m., the lead
10 operator began to raise the temperature of the mixture
11 by introducing steam into the kettle's jacket, and you
12 can see that in the red here.

13 And, again, the steam and the cooling water
14 valves were grouped on opposite sides of the kettle
15 operated by hand wheels which extended through the
16 operating deck down to the valves below.

17 The lead operator applied steam to the
18 kettle for about ten minutes, stopping when the
19 kettle's jacket pressure read five to ten pounds per
20 square inch, and he repeated this step two more times,
21 watching the digital temperature readout.

22 And as the temperature rose, he noticed
23 that unlike most batches, the rate of the kettle's
24 temperature increase was unusually fast.

25 The lead operator recalled that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 temperature of the batch rose quickly from 70 to 80
2 degrees C., and that the tenths decimal reading of the
3 digital temperature indicator, again, the small
4 rectangular indicator, was moving very fast.

5 This rapid temperature rise began within
6 the first 15 minutes after the start of heating, and
7 the typical heat up rate during this phase of the
8 process would have been only one to two degrees per
9 minute.

10 At approximately 8:05 now with the
11 temperature at about 100 degrees C. and rising rapidly,
12 the operator switched from heating the reactor to
13 cooling by closing the jacket steam valves and opening
14 the water valves.

15 Let's see. If we switch to the cooling
16 mode, where steam came in the top and the steam that
17 condensed as the heat went into the reactor and left as
18 liquid went out the bottom, cooling water would go in
19 the bottom of the reactor and come out the top, and
20 that's pretty much a typical operation.

21 So they switched over to the cooling water.

22 Three other operators, experienced operators, became
23 aware that there was a problem, and they came over to
24 assist. They asked if the cooling water was on, and at
25 least one of them verified that, yes, the cooling water

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 valve positions were correct.

2 The lead operator reverified the valve
3 positioning, and the operators stated in interviews
4 that they heard the sound of the cooling water in the
5 piping, and I think that's a common measurement or
6 indicator that operators use to know that there is
7 water flowing.

8 About two minutes passed, and the
9 supervisors called the supervisor over to assist, and
10 he again verified that, yes, the valves were all
11 configured properly.

12 Now, at this point the temperature had
13 reached 150 degrees, and the circular recording chart
14 only went up to 150. So that pegged out or maxed out,
15 as we say and could no longer provide any indication to
16 the operator of the temperature, and they were working
17 off of this small digital readout, which was above it.

18 DR. TAYLOR: How did you get that?

19 MR. HELLER: Yeah. Now, at this point the
20 kettle starts to shake and rumble. The batch
21 temperature again continues to increase, and it passes
22 the onset of the decomposition reaction, which is 175
23 to, as we'll see, 195 degrees.

24 The decomposition reaction, again, as I
25 mentioned earlier, is the breakup of a molecule, in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this case the Yellow 96, into smaller molecules with
2 the generation of high temperatures and pressures, and
3 again, the kettle was rumbling and shaking more
4 violently.

5 And the operators at this point observed
6 vapors and liquid in the glass piping section that
7 connected the reactor to the overhead condenser on the
8 third floor. So this would have been the reactor down
9 here, and the condenser was up above, and this was a
10 glass section. So the operators could see the liquid,
11 the vapor coming up and the liquid coming down, and all
12 really just very agitated action inside there.

13 And this vapor was composed of residual 2-
14 ethylhexylamine and gases that were being generated by
15 the reactions, by the decomposition reactions.

16 Now, next, at this point the kettle's high
17 pressure relief system, the rupture disks, the
18 emergency protection, they activated, and they were set
19 at ten psi. There was two six inch rupture disks that
20 were set in series. You can see them here, and again,
21 this was after the kettle was disassembled, but the
22 bottom would have been on the nozzle at the kettle, the
23 first rupture disk, and the second rupture disk, and
24 this went off to a catch tank, which was designed to
25 vent the kettle and contained the release from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 kettle.

2 And now we're at 180 to 190 degrees
3 Centigrade. At the point of disk failure now, one
4 operator who had been standing near the kettle reported
5 that he saw the digital temperature reading increase
6 from 190 to 265 degrees C. in less than 30 seconds.

7 He shouted to several other operators and
8 started to run towards an exit, and as he reached the
9 top of the stairs, he heard additional sounds,
10 including a gush of air which he associated with the
11 failure of the glass piping section we saw in the
12 previous slide.

13 And at ground level he shouted a warning to
14 three more workers who were at that point unaware of
15 the danger, and they all ran towards an exit.

16 At about almost the same time now, the one
17 operator and the supervisor still at the kettle
18 reported in interviews that they observed the
19 temperature on the digital readout to be about 200
20 degrees Centigrade, and at this point, the operator and
21 the supervisor ran toward the second floor northeast
22 exit.

23 Again, the kettle was vibrating the second
24 floor steel decking, and there was a very loud
25 rumbling. Other workers on the site though that it was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the sound of a train passing by the plant.

2 And the operators came out that upper door
3 to get out of the building.

4 At 8:18, the pressure in the kettle blew
5 the inspection man-way off, and the man-way was found
6 about 15 feet from the kettle. In this picture, you
7 can see the scars where the man-way pulled away from
8 the four clamps that were holding it on.

9 And from the open vessel man-way now, a jet
10 of hot reactants erupted that essentially emptied the
11 vessel, and the reactants penetrated the third floor
12 and the roof, and this aerosol mixture of gas and
13 liquid shot above the roof and spattered the adjacent
14 community with a yellow-brown mixture of compounds
15 which included the yellow dye 96 and the ortho-
16 nitrochlorobenzene.

17 The aerosol plume ignited and formed a
18 large fire ball above the roof, and the recoil from the
19 force of the material coming out of the kettle twisted
20 the kettle off of its mounts, and you'll see here as
21 soon as my slow computer catches up.

22 The kettle fell about four feet from where
23 it was up on the second level. This was the second
24 level decking that the operators had been working off
25 of. The kettle would have been at this height, and it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 got twisted off and fell down to the first floor below.

2 You see the open man-way here.

3 Now, as the operator and the supervisor
4 reached the second floor exit landing, the explosion
5 blew then to the mid-level landing and flash fires
6 spread in the building in the kettle area. The lead
7 operator and the supervisor were further blown from the
8 mid-level landing down to the ground, and they suffered
9 second and third degree burns, and they were
10 hospitalized and in intensive care for five days.

11 Injuries to the other workers included
12 first, second, and third degree burns, contusions,
13 abrasions, lacerations, and muscle strains. All of
14 Morton's employees were able to escape from the
15 building before the arrival of the emergency
16 responders.

17 The blast blew out the windows, doors and
18 blow-out walls of the building, and that absorbed much
19 of the energy of the explosion and prevented greater
20 damage to the building.

21 There was some blast damage in the
22 immediate vicinity of the reactor, but most of the
23 damage was caused by the ensuing fire, and the second
24 blast, as we noted, was above the roof outside, which
25 again was away from the operators.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The Paterson Fire Department arrived
2 quickly. They were there at about 8:24. The fire
3 chief assumed command of the fire fighting effort, and
4 he called for the sheriff's HAZMAT team, hazardous
5 materials team.

6 Fire at this point, as we saw in that early
7 slide, was visible burning through the roof of the
8 building, and at this point there was about a 30 minute
9 delay before the fire fighters could begin their attack
10 in order for them to determine and get information from
11 the plant to determine what chemicals were involved and
12 to insure that the chemicals weren't water reactive and
13 that water was the proper medium for fighting the fire,
14 and it was. It turned out to be it was. So they were
15 able to start on the attack with water.

16 Flames were suppressed in about an hour,
17 but the fire department continued their water deluge to
18 facilitate the HAZMAT team's entry for an initial surge
19 at about 9:44 p.m.

20 The HAZMAT team conducted a primary and
21 secondary search of the building. Again, all of the
22 workers had fortunately escaped. The fire department
23 then entered the building on the second floor, and they
24 used a portable dry chem. extinguisher to extinguish
25 the remaining fires.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 At 11:37 the fire was reported under
2 control, and the fire water was stopped as soon as
3 possible to prevent washing contaminants over into the
4 Passaic River.

5 Morton collected about 300,000 gallons of
6 contaminated water from the fire fighting operations
7 and from rain the next day, which they disposed of, and
8 they estimated that less than 10,000 gallons of
9 contaminated water, fire water and storm water,
10 eventually reached the Passaic River.

11 Now, during the fire, the ambient
12 temperature was about 40 degrees. It was a clear night
13 with light winds mostly from the northeast switching to
14 the southeast. These winds blew the plumes of the
15 reactants' products and the smoke off the plant site,
16 and the fallout was mainly to the west of the plant.

17 This picture is taken from the plant site,
18 but it gives you an idea of the type of spatter from
19 the dye as it came out of the kettle.

20 Now, spots were reported on cars in the
21 neighborhood at an adjacent candy factory and at a car
22 dealership about one-half mile away. White samples of
23 the material deposited on automobiles and buildings
24 near the Morton facility were taken, and these samples
25 contained measurable -- I noted measurable quantities

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of these yellow dye 96 and the ONCB.

2 Nearby residents were order to shelter in
3 place in their homes during and immediately following
4 the fire fighting attack. The shelter in place was
5 conducted by the Paterson Police Department and
6 encompassed about a ten block by ten block area around
7 the plant, and the shelter in place lasted for about
8 two to three hours.

9 During and following the incident air
10 monitoring was performed by various organizations. The
11 testing conducted by the Passaic County Department of
12 Health was negative for benzene and halogenated
13 hydrocarbons and nitrous compounds.

14 Now, workers at two neighboring businesses
15 and some fire fighters reported throat irritation and a
16 slight burning in their eyes and on their skin, and
17 several odor complaints were also received from
18 neighbors.

19 A health warning statement was prepared by
20 the Passaic County Department of Health and issued
21 jointly with the Paterson Mayor's office, and it was
22 distributed to the local community. It advised
23 residents to avoid contact with the deposited material.

24 It listed steps to be taken in case of health effects,
25 and instructed the residents on how to handle

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 contaminated items.

2 However, the warning wasn't issued until
3 about five o'clock the following day or about 20 hours
4 after the incident.

5 At this point, again, I'll stop for your
6 questions.

7 DR. TAYLOR: Okay. Are there questions?

8 DR. HILL: Yes, Dave. This relates back to
9 the question that Dr. Poje asked earlier about
10 mechanical integrity. Did you use -- did you look at
11 other things? We saw on some of the drawings there the
12 glass lining, the impeller. Did you look at those
13 things to eliminate them as a potential cause of this
14 accident, including also the potential for
15 contamination, if there were cracks in that material --

16 MR. HELLER: Right.

17 DR. HILL: -- that could have potentially
18 catalyzed the situation and caused it to occur?

19 MR. HELLER: We looked at quite a number of
20 alternate scenarios ourselves and with the contractors.

21 The agitation, it was determined, had been on the
22 entire time. The glass lining of the kettle was in
23 pretty good shape. There didn't seem to be any faults
24 there.

25 The cooling water system was checked out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and had been operating as it was supposed to. We'll
2 talk later about the raw materials. There was no
3 contamination of the raw materials and testing that
4 OSHA and EPA did after the incident.

5 And, again, these all maybe pointed to the
6 direct cause of the incident, but as we'll see, they
7 really don't reflect on the root causes of the incident
8 and really any of these alternate scenarios.

9 DR. HILL: Did you also look at -- you
10 mentioned that the operators indicated that, for
11 instance, the water valves or the steam valves were in
12 a certain position, but I understand those were on a
13 stem all the way through the floor down to another
14 level.

15 MR. HELLER: Right.

16 DR. HILL: During the physical examination
17 was it determined that those valves were, indeed, in
18 those places?

19 MR. HELLER: Yeah, the valves were in the
20 proper position, and for the cooling water, it was
21 pretty much all the way open or all the way closed, and
22 I guarantee you these guys made sure those valves were
23 wide open.

24 DR. HILL: Okay.

25 MR. HELLER: The steam, there was some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 variation, but critical by the end was the cooling
2 water, and they were determined to be wide open.

3 DR. HILL: You said you used a systematic
4 process. Was this something like CCPS uses as a fault
5 tree analysis to eliminate these other potentials?

6 MR. HELLER: We used a number of formal
7 analytical tools. We used our contractors and also CSB
8 did a barrier analysis, look at barriers, physical
9 barriers, administrative barriers, engineering barriers
10 between the hazards and protecting the people, and we
11 did a change analysis which looks at what was different
12 this time versus the other 31 times or versus this
13 process versus other processes.

14 And we also did a fault tree, which is a
15 formal root cause analysis tool.

16 DR. HILL: Okay. Thank you. That's all of
17 the questions.

18 DR. TAYLOR: Gerry.

19 DR. POJE: Dave, you mentioned earlier that
20 there were discrepancies, which is not unusual in such
21 an emergency and stressful situation, in the witnesses'
22 recall of temperature. How do you ascertain the
23 significance of this in terms of your findings or in
24 the recommendations? Did it have any influence, the
25 range that people were talking about?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HELLER: Again, these were really just
2 the symptoms of this one batch, and as you'll see in a
3 few minutes, they really had little impact on the root
4 causes, the systematic causes -- systemic causes of
5 this event.

6 DR. POJE: Okay. One other issue was raised
7 in the time line about the fire fighters. Fire
8 fighters arrived on the scene. How did they understand
9 the hazards to begin their emergency response efforts?

10 MR. HELLER: All right. Typically what the
11 fire fighters would do and what these guys did was get
12 the information from the folks at the plant. I think
13 they were set up near the front gate, and that's where
14 they had to wait until that information could be
15 gathered to make sure they knew what they were doing.

16 DR. POJE: And there was what, a 30 minute
17 delay period, something that is unusual or normal in
18 such situations? It seems like a long time to me.

19 MR. HELLER: It could have been a long time
20 if there were people inside, and I think if there had
21 been a situation where they knew people were missing,
22 that there wouldn't have been a 30 minute delay, but
23 with the people all accounted for, maybe they were able
24 to back off rather than endangering anybody further to
25 make sure they had all of the right information before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 proceeding.

2 DR. POJE: And then if we can just clarify,
3 because I know we'll get into this section as well. My
4 understanding with what you presented is that there are
5 a number of important chemicals used in this process,
6 ortho-nitrochlorobenzene, 2-ethylhexylamine.
7 Individually and by themselves, they are not clarified
8 or characterized as a high hazard or highly reactive
9 materials on their own. Put them together and you have
10 a desired reaction that you want to do to produce
11 automate Yellow 96.

12 But then in addition to that, there's also
13 an undesired reaction that if temperature goes high
14 enough, the automate Yellow 96 starts to break down.

15 MR. HELLER: Right. The desired reaction
16 is the ONCB and the 2-EHA, and the undesired was the
17 breakdown of the final product.

18 DR. TAYLOR: I'm interested in the
19 environmental impact. You mentioned that there were
20 two workers, I believe --

21 MR. HELLER: No, no.

22 DR. TAYLOR: -- or three who -- outside of
23 the plant who had complained --

24 MR. HELLER: From neighboring businesses,
25 yeah.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. TAYLOR: -- of symptoms.

2 MR. HELLER: And some of the fire fighters.

3 DR. TAYLOR: Do you know if there was any
4 follow-up of whether those individuals went to the
5 hospital or to a physician or --

6 MR. HELLER: I really don't recall what
7 they did. I know the fire fighter cases were reported
8 through the department procedures for that. Now, we
9 did not do any looking after the incident at any
10 potential chronic effects of the exposure to the
11 chemicals, and that's something that we're going to be
12 trying to do a better job of in future investigations.

13 And to that end, we've started contacts
14 with the ATSDR. That's the Agency for Toxic Substance
15 and Disease Registry, and hopefully they'll be able to
16 give us some assistance in that area as we hit new
17 incidents in the future.

18 DR. TAYLOR: Okay, and the other question,
19 you also mentioned that there was air monitoring
20 conducted of the environment. Do you know how soon
21 after the incident that was done?

22 MR. HELLER: The Passaic County Department
23 of Health was monitoring during the incident. Morton
24 contracted from independent testing that was done after
25 the incident. EPA also -- I think it was the region --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did some testing after the incident. And there was,
2 again, a lot of samples taken of the spatter in the
3 neighborhood.

4 DR. TAYLOR: Okay. Thank you.

5 Questions? Okay.

6 MR. HELLER: Your questions on the
7 chemistry are right on because what we're going to do
8 now is get a little bit into the process chemistry of
9 the event.

10 And, again, we said there were two
11 reactions, the desired product forming or synthesis
12 reaction and the decomposition reaction, and the
13 exothermic heat of the reaction that formed the product
14 accelerated faster than the heat removal capacity of
15 the kettle and raised the temperature of the batch, and
16 the heat generation caused the vapor pressure of 2-EHA
17 to rise until it boiled.

18 The reaction generated additional gases
19 which pressurized the kettle, and the heat release
20 continued to raise the batch until the batch was above
21 the decomposition temperature of the Yellow 96, and
22 that decomposition reaction, in turn, released more
23 gases, decomposition products, contributed even greater
24 pressure, resulting in the final release of material
25 from the kettle.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, Chilworth Technology, Incorporated, of
2 Monmouth Junction, New Jersey, was hired by the
3 Chemical Safety Board, and they conducted a battery of
4 thermal hazards tests to analyze the Yellow 96
5 synthesis and decomposition.

6 So at this point, I'd like to ask Mr.
7 Richard Wedlich of Chilworth to come over here and take
8 over the computer and give us an overview of the
9 thermal hazards work.

10 MR. WEDLICH: Please permit me to introduce
11 my qualifications a little bit. I've been involved in
12 the thermal hazards evaluation area for about 15 years
13 now. I received a Master's degree at Marquette
14 University in physical chemistry and started in the
15 thermal hazards area at NASA White Sands test facility
16 where I worked for about four years on NASA space
17 shuttle and space station type projects.

18 From there I went to Olin Chemicals
19 Research, which is the support center for a large
20 chemical company. I worked there for about ten years
21 in charge of the thermal analysis area.

22 After leaving Olin, I came to Chilworth
23 Technology, where I've been employed for over two years
24 as a senior process safety specialist.

25 Chilworth Technology is a professional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 safety firm which provides consulting and testing
2 services on a contractual basis.

3 In January of this year, Chilworth was
4 contracted by the United States Chemical Safety and
5 Hazard Investigation Board to implement an experimental
6 study into the thermal hazards associated with the
7 Morton process to prepare Yellow 96, and today I'm
8 going to summarize the results of that study.

9 It's coming along.

10 I begin with a definition of the thermal
11 runaway -- how do I get back? We can do the kinetic
12 experiments. We just can't handle the laptop.

13 A thermal runaway is the progressive
14 production of heat from a chemical process and occurs
15 when the rate of heat production exceeds the rate of
16 heat removal.

17 There are two competing factors which
18 determine the thermal runaway condition. One is the
19 rate of heat generation, and one is the rate of
20 cooling. What you're seeing here plotted on the Y axis
21 is energy per unit time. So that's the rate of energy
22 either coming out of the exothermic reaction or in the
23 way of a heat generation rate or the rate of cooling.

24 The curve which is exponential is the rate
25 of self-heating, and the linear curve is the rate of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cooling. There are two points on the curve where the
2 rates are equal. Above the upper point cooling is
3 insufficient. The reaction will undergo a thermal
4 runaway that could result in a thermal explosion.

5 The events that lead up to a thermal
6 explosion are predictable, and they tend to follow this
7 profile. In the present case we're dealing with a
8 batch reaction. So the accumulation of reactants
9 starts out being 100 percent. In the case of
10 insufficient heat dissipation, we can get into a
11 runaway of the desired synthesis reaction. The
12 reaction is not being controlled. The temperature is
13 increasing. As the temperature increases, one can
14 reach a point where the undesired decomposition
15 reaction takes place.

16 We still have insufficient cooling, and the
17 combination of these two things can lead to the thermal
18 explosion.

19 The safety data required is illustrated
20 here in terms of the event profile. What's being
21 plotted on the Y axis is temperature versus time. At
22 some critical point, TX, cooling is lost where cooling
23 becomes insufficient, and the desired synthesis
24 reaction gets out of control and there's an adiabatic
25 temperature rise. Basically the system goes fairly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 adiabatic. Large reactors tend to be fairly adiabatic.

2 There's very little heat loss.

3 Depending upon the amount of energy stored
4 in the reactor, the maximum temperature of the
5 synthetic reaction will be reached. In this case I've
6 drawn it so that that temperature is high enough to
7 trigger a decomposition reaction. The decomposition
8 reaction then takes place rapidly. They tend to have
9 large adiabatic temperature rises. Decomposition
10 reactions tend to generate rates of pressure that are
11 quite large.

12 It is possible to define cases now based
13 upon the desired synthesis reaction and the undesired
14 decomposition reaction that are harmless, that are
15 feasible, that are dangerous. What I'm showing you
16 here on the Y axis is temperature. P stands for the
17 desired reaction, the synthesis reaction, and S stands
18 for the undesired decomposition reaction.

19 In the first case, I'll take as an example
20 the safe case. We've got the synthesis reaction going
21 out of control, and they're going on a thermal runaway
22 and reaching a maximum temperature, T_{max} , which is less
23 than the onset temperature, T_S of the undesired
24 decomposition reaction. this is generally safe.

25 It's made safer by the fact that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 adiabatic temperature rise on the decomposition
2 reaction is not very large. So the highest
3 temperature reached will not be very high. So the
4 highest rate reached will not be very high. The
5 maximum pressure reached will not be very high.

6 In this case here, we've got a dangerous
7 case where a synthesis reaction can take us to a
8 temperature where the decomposition can occur and the
9 adiabatic temperature rise on the decomposition
10 reaction is quite large.

11 For the purpose of studying the thermal
12 hazards, we tend to break the problem up into studying
13 the decomposition and separate from studying the
14 desired synthesis reaction. There are a host of
15 routine tests that can be done. These range from
16 screening tests that can be done very quickly in a
17 matter of a couple of afternoons by qualified people
18 for a very minimal cost. Maybe 1,000 or a couple of
19 \$1,000 can get you through a screening.

20 Then there's a more dynamic test which I've
21 shown here, which is what Chilworth Technology uses to
22 study the desired reaction.

23 This is the heat flow calorimeter, the
24 metlerized (phonetic) C-1 heat flow calorimeter. This
25 is a two liter glass reactor that we have, which is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 jacketed reactor that allows us to circulate cooling or
2 heating oil through the jacket, and what we did was we
3 ran the process, the Yellow 96 process, in a semi-batch
4 fashion where we actually dosed the one component, the
5 amine, into the nitrochlorobenzene, and we did this in
6 small stages, and we measured the heat output at each
7 stage.

8 This allows us to calculate the heat of
9 reaction, and this device also allows us to measure the
10 heat capacity. Having those two values, we could
11 calculate the highest temperature that could be reached
12 by the synthetic reaction if cooling was lost. I
13 called that the MTSR previously.

14 For studying the decomposition reaction on
15 a fairly large scale, we use what's known as the
16 adiabatic pressure Dewar calorimeter. This is the
17 vessel. It's a one liter thermos bottle. It's very
18 insulated. This one is made out of stainless steel,
19 will hold fairly large pressures.

20 The batch was charged to this reactor. The
21 reactor was placed inside an adiabatic shield oven, and
22 the batch was raised to 90 degrees very quickly,
23 relatively quickly, and then allowed to do its thing
24 while we're monitoring the time, temperature, and
25 pressure data.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Because this reaction, because this scale
2 of experiment can be quite dangerous, quite large
3 pressures can be generated; the entire calorimeter has
4 to be placed inside a vented blast room. This would be
5 a room capable of containing the fragments from an
6 explosion and also for properly ventilating the
7 material out of the way of the laboratory personnel.

8 Now, I'm going to talk fairly slowly
9 through this slide, which sort of summarizes our
10 results. The X axis doesn't mean anything in this
11 case, but the Y axis is in units of temperature.

12 First, let me just remind you of what kinds
13 of tests were being done. I did not mention the Carius
14 tube test. It's a test where the materials are being
15 added to a glass tube. The glass tube is instrumented
16 with a pressure transducer and a thermocouple. The
17 tube is then ramped up in temperature, and we're
18 looking for evidence of exothermic activity.

19 I did mention the Dewar or the adiabatic
20 pressure Dewar.

21 The DSC, this is an inexpensive, fast
22 screening test, differential scanning calorimetry, very
23 similar to the Carius tube test. The batch is charged
24 to a small stainless steel reactor and heated up, and
25 again, we're looking for evidence of an exothermic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reaction.

2 The RC-1 is the heat flow calorimetry
3 experiment that I described for studying the desired
4 synthesis, and the boiling point on this material, this
5 is the boiling point of Yellow 96. This was determined
6 at reduced pressure, and then we used a common
7 technique to extrapolate the data to the atmospheric
8 boiling point.

9 Let me show you how you would read this.
10 For example, this bar here, this represents the
11 reaction to exotherm. Starting at 40 degrees Celsius,
12 there's enough heat that can be generated by this
13 process to take us up to 213 degrees Celsius based upon
14 the experimental heat capacity and experimental heat of
15 reaction if there were no cooling.

16 In the Carius tube test, we found evidence
17 of exothermic activity as soon as 38 degrees Celsius.
18 This is just beyond the melting point of the ortho-
19 nitrochlorobenzene. So the synthesis reaction starts
20 generating heat that can be detected by our instrument
21 as low as 38 degrees Celsius.

22 As the synthesis reaction is allowed to go
23 out of control, you easily get to the 90 degree mark.
24 You can see that. When the batch is added to the
25 adiabatic Dewar at 90 degrees, by the time the batch

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reaches 90 degrees, it's already running out of
2 control. The thermal runaway reaction is very rapid
3 and takes us up to a temperature above our experimental
4 detection limit of 300 degrees Celsius. So we can only
5 go up to 300, and this one went up to 300 basically and
6 then some.

7 Also, I point out here that -- well, let me
8 say this: that as the synthesis reaction then occurs
9 and runs out of control, it triggers the decomposition
10 reaction, and that allows us to get up to even higher
11 temperatures, and we pass through a regime starting at
12 about 172 where one of the components, the amine, can
13 undergo a decomposition as evidenced from our DSC
14 results.

15 We also note that by the time we reached
16 195 degrees Celsius, our Carius tube test has shown
17 that the crude product begins decomposing, and by the
18 time we reach 201 degrees Celsius there's, in addition
19 to the large vapor pressure, there's also permanent gas
20 being generated.

21 So that's a summary of Chilworth's
22 experimental findings. That just shows you the
23 temperature regimes and how one can go from one
24 temperature to the next by these different thermal
25 chemical mechanisms.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is the actual data from our Dewar
2 test. This is the adiabatic test where the batch is
3 charged all at once to the Dewar, and in this case we
4 are heating the sample rapidly, fairly rapidly, over a
5 period of about an hour to 90 degrees Celsius. By the
6 time we reach 90 degrees Celsius, the external heating
7 from our calorimeter was turned off, and all remaining
8 heat was being generated by the reaction, and you can
9 see the very rapid rate of temperature rise and also
10 the very rapid rate of pressure rise, and the rate was
11 very rapid, and in fact, reached the bursting pressure
12 of the vessel and did, in fact, cause the vessel to
13 rupture.

14 That's my presentation.

15 DR. TAYLOR: Thank you.

16 I'd like one question just to clarify to
17 make sure that I understand. What you're saying, with
18 this reaction at 38 degrees Centigrade with the
19 combination of the two chemicals, without adding heat,
20 the steam or cooling, that temperature without adding
21 the heat, in particular, the temperature will rise
22 gradually to create decomposition? At some point it
23 could do that?

24 MR. WEDLICH: Yes.

25 DR. TAYLOR: How long would it take

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 normally in that case? What would be the time?

2 MR. WEDLICH: I'm afraid I don't have that
3 information with me. That's part of our report to you.

4 DR. TAYLOR: Okay.

5 MR. WEDLICH: The times involved.

6 DR. TAYLOR: Okay.

7 MR. WEDLICH: In fact, that is important
8 information, but I don't have it off the top of my
9 head. I apologize.

10 DR. TAYLOR: Okay.

11 MR. WEDLICH: You can see though from this
12 plot, that there is a very short period of time once
13 the batch reaches 90 degrees. I don't have the time
14 off the top of my head from 38 degrees. It could be
15 quite long, but from 90 degrees, you can see that
16 there's really just, well, here is 90 degrees. There's
17 a matter of less than an hour, clearly less than an
18 hour before we reach the maximum rate.

19 DR. TAYLOR: For the maximum rate, and
20 that's without any additional steam.

21 MR. WEDLICH: Yes, and notice that as you
22 get closer, notice that as you get closer, you know, to
23 -- as you creep up to, say, 100 degrees or 120 degrees,
24 the time to maximum rate, the time that is to get to
25 the largest rate reached, it's very, very short.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. TAYLOR: Very short.

2 MR. WEDLICH: Okay. The nature of this
3 phenomenon is that it can spend some long times at the
4 slow rates, but once it gets up to the higher
5 temperatures, it will go very, very quickly.

6 DR. TAYLOR: Okay. Thank you.

7 Other questions?

8 DR. HILL: Mr. Wedlich, I'm certainly
9 impressed with your credentials and your experience in
10 this area, and clearly having your working contributing
11 to the CSB's investigation is very important.

12 This is an area that it seems that we need
13 to rely on your experience. So I'd like to put it in a
14 little bit simpler terms. Clearly these materials when
15 you put them together, they create heat. Now, they
16 give off heat. If that's manageable, it can be
17 controlled, if it is managed properly, I should say.

18 I have one question. You presented hazard
19 cases there earlier, and they ranged from safety to
20 harmless, all the way up to dangerous in a particular
21 slide that you showed. How would you characterize your
22 view of this particular material in this case relative
23 to those hazard cases you presented?

24 MR. WEDLICH: Yes. I would call this
25 dangerous.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. HILL: It was standard?

2 MR. WEDLICH: No, I'd call this dangerous.

3 DR. HILL: Dangerous. Okay.

4 MR. WEDLICH: Yes.

5 DR. HILL: Thank you very much.

6 DR. POJE: And if I can just get you to
7 clarify once again, the tests that you're doing or have
8 done on behalf of our analysis of this reaction are
9 tests that are not so unique to your facility that they
10 can't --

11 MR. WEDLICH: No, no.

12 DR. POJE: -- be duplicated elsewhere, and
13 that they are possible for other facilities to use in
14 ascertaining their own reactive chemicals.

15 MR. WEDLICH: Yes, that's absolutely
16 correct. Most of the major pharmaceutical and chemical
17 companies do have the in-house capabilities for
18 generating the majority of this data.

19 DR. POJE: Thank you.

20 DR. TAYLOR: And what was the approximate
21 cost of conducting such a test again?

22 MR. WEDLICH: The screening test that would
23 indicate exothermic activity and the potential for gas
24 generation, if you were to go through Chilworth
25 Technology, which I hope you would do that, you can get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 approximately \$2,000, but the entire program is
2 probably closer to under \$10,000 for the large scale
3 testing and whatnot. Still you could come in for well
4 under \$10,000.

5 DR. TAYLOR: I was not trying to make this
6 an add-on, but okay. Thank you.

7 MR. HELLER: Thanks, Richard.

8 Let me now discuss just one or two aspects
9 of the chemistry relating to the process. The
10 operating procedures for Yellow 96 state that the
11 operator should heat the reaction mixture to 90 degrees
12 C. to initiate the reaction. However, the operators'
13 experience in making Yellow 96 was that following those
14 procedures resulted in an exothermic reaction rate that
15 was difficult to control.

16 And the operators, they thought that the
17 reaction between the 2-EHA and ONCB started -- well,
18 they thought it started as early as 75 degrees C. So
19 most of the operators turned the steam heating off when
20 the reaction temperature reached approximately 70 to
21 80.

22 And we confirmed the operators'
23 observations and obviously saw, in fact, Chilworth's
24 testing determined that the onset temperature for the
25 synthesis reaction was as low as 38 degrees C. So,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 therefore, the reaction would proceed slowly, even at
2 temperatures lower than thought by the operators.

3 Now, NASA's White Sands test facility and
4 also Chilworth conducted differential thermal analysis
5 testing for us on the two raw materials, on the ONCB
6 and the 2-EHA, and no exothermic reactions or pressure
7 spikes were detected in those individual reactants
8 until their temperatures were well above the Yellow 96
9 process operating temperatures.

10 And after the incident, OSHA and EPA
11 analyzed the unused raw materials and determined that
12 those reactants were within the expected quality range.

13 Again, as far as alternative scenarios,
14 there's one way to determine that there was no
15 contamination at least from the raw materials in the
16 process.

17 Now we're going to move away to discuss how
18 Morton developed the Yellow 96 process. Yellow 96 went
19 through several research phases at different branches
20 of Morton. The company began its research with small
21 scale reactions in 1986 at research facilities in the
22 United Kingdom. Larger batches were produced there in
23 1987 and 1988, and the Morton researchers observed
24 exothermic activity in these tests.

25 In 1987, Morton contracted with Brunell

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 University in the United Kingdom to perform
2 differential scanning calorimetry testing of the
3 reaction, and this is, as Richard will attest, this is
4 one of the typical first pass screening tools that
5 companies use to assess exothermic activity in new
6 products.

7 And in these tests, the researchers found,
8 quote, "The material was found to decompose with
9 considerable generation of heat at above 220 degrees
10 C."

11 And because of that, Morton developed a
12 semi-batch or a staged addition process to control the
13 exothermic reaction, and what the research would do is
14 they'd put their 2-EHA and their test vessel, and
15 they'd add the ONCB in the four equal portions. So you
16 have the 2-EHA, and then they'd put in a quarter --it
17 goes back to about a quarter of the ONCB, heat it up,
18 let the temperature go up, and then they'd catch you
19 with the cooling water. It would come back down, and
20 then they'd put in the next portion of the ONCB and two
21 more times in order not to have it all reacting all at
22 one time. That was the process that was used in the
23 United Kingdom.

24 Now, the researchers in the United Kingdom
25 wrote a review memo of the process in 1989 in which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they made a number of recommendations regarding the
2 control and safety of Yellow 96. That memo was faxed
3 to the Paterson plant in April of 1989.

4 The researchers recommended, among other
5 things, controlled cooling water addition directly into
6 the reactor, and that would have been an emergency
7 method to stop the runaway reaction.

8 And this process review memo also included
9 the recommendation that accelerating rate calorimetry
10 testing be done. This is another step maybe beyond
11 that first screening phase they did. It would have
12 given them some more precise information, and the
13 researchers wrote, and I'm quoting again -- the
14 accelerating rate calorimetry testing would allow them
15 to determine "the rate of reaction under the worst
16 reaction conditions, the rate of decomposition of the
17 finished product, and pressurized data which could be
18 used to size emergency venting equipment," end quote.

19 Now, Morton did not perform these
20 additional tests, and it did not install the
21 recommended safety equipment.

22 In late 1989, Morton transferred its
23 research effort on Yellow 96 from the United Kingdom to
24 the United States, and at this point in time, Morton
25 revised the process from the semi-batch process that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the researchers use to a full batch process, and this
2 was to minimize the exposure of the employees to the
3 ONCB.

4 So, again, the semi-batch process was to
5 put the 2-EHA in the vessel, add the ONCB and four
6 portions. After each portion the temperature goes up.

7 You put the cooling water on and pull the temperature
8 back down after it reacts away.

9 They switched that to a batch process where
10 you put all of the ONCB in the reactor. Then you put
11 all of the 2-EHA in the reactor and heat the entire
12 mixture up to 90 degrees C. to kick off the reaction,
13 and then gradually take that heat up to 150 degrees C.

14 Now, Morton did not take into account that
15 switching from their initial semi-batch process to the
16 revised batch process, resulting in a more hazardous
17 condition.

18 And the Center for Chemical Process Safety
19 as a book out called Inherently Safer Chemical
20 Processes, and in that book they note, "Semi-batch or
21 gradual addition batch processes," and that was
22 Morton's initial process, "limit the supply of one or
23 more reactants and increase safety when compared to
24 batch processes in which all of the reactants are
25 included in the initial batch charge," and that was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Morton's production process.

2 For an exothermic reaction, the total
3 energy reaction available in the reactor at any time is
4 minimized, again, minimized in the semi-batch process.

5 Now, the United Kingdom's Health and Safety
6 Executive, which is their government equivalent to OSHA
7 and EPA, they have a recent publication out when they
8 write about semi-batch processes. Again, quoting,
9 semi-batch processes "reduce the quantity of reactant
10 present and controlling the addition step may stop the
11 reaction in the event of a hazard arising."

12 So at the start of the reaction of the
13 batch process with the reactant concentrations at their
14 maximums, the influence of temperature on the reaction
15 rate was greatest, and there was the most danger of
16 exceeding the heat removal capacity of the kettles.

17 Morton also produced six trial or pilot
18 scale batches, and these are in sizes of from 80 to 425
19 gallons, and again versus the 1,000 and 2,000 gallons
20 we saw in the Paterson facility, and these were done at
21 a pilot facility in Illinois.

22 In these batches, Morton was able to
23 control the exothermic reaction within the operating
24 limits.

25 Now, to bring the reaction now from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pilot scale to Paterson, the Paterson staff used a pre-
2 manufacturing process review checklist as a guide, and
3 this was in 1990. The Yellow 96 checklist required an
4 information package, and that was received from the
5 pilot plant, and that included batch sheets from the
6 pilot plant, material safety data sheets, and memos and
7 notes relating to the process, and some of these memos
8 noted the presence of the exothermic reaction.

9 Now, Morton did not conduct an initial
10 hazards assessment when they brought the process to
11 production scale in 1990. The hazards assessment and
12 the process hazards analysis techniques were in use
13 throughout the chemical industries at this time.
14 They've been gathered and published by the Center for
15 Chemical Process Safety in 1989, and again, that was
16 three years before OSHA promulgated the process safety
17 management rule.

18 And the Center for Chemical Process Safety
19 is an industry driven professional organization, and
20 it's affiliated with the American Institute of Chemical
21 Engineers.

22 The observations by Morton's researchers of
23 the several laboratory and pilot scale batches
24 performed in the United States were the determining
25 factor in Paterson's analysis of the safety of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process. However, empirical ability to control the
2 process in the laboratory and the pilot plant should be
3 augmented by additional key engineering work. To
4 design a safe reactor process, certain basic
5 information is required.

6 Now, Morton did not conduct the additional
7 calorimetric testing as recommended by the United
8 Kingdom researchers or when the process was changed
9 from the staged addition process to the staged heating
10 process, from the semi-batch to the batch, and this
11 information would have characterized the reaction, the
12 runaway reactions, and provided data for the
13 determination of the cooling capacity and the vent
14 sizing of the reactor.

15 Morton did not calculate a heat and mass
16 balance around the kettle in the reaction to determine
17 if there was sufficient heat removal capacity in the
18 reactor cooling water system to handle foreseeable
19 events and to determine the influence of reactor vessel
20 size in this function.

21 One could have done that and determined
22 whether the reactors in Building 11 were acceptable for
23 producing Yellow 96 or not.

24 And Morton did not determine the worst case
25 venting scenarios and sized the reactor's safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 devices accordingly. The pressure relief devices on
2 the Paterson reactors were sized for the scenario of an
3 external fire boiling xylene in the kettle, and that's
4 a much smaller venting requirement than the runaway
5 exotherm case.

6 And Morton did not do the calculations to
7 determine if the relief devices could safely vent the
8 pressure generated by the runaway, and they did not
9 check to see if the reaction vessels were maybe strong
10 enough to safely contain the maximum expected pressure.

11 And a break at this point on the
12 development.

13 DR. TAYLOR: Questions, Board members?

14 DR. HILL: Dave, just a rather simple
15 question. What you've just told us is that there was a
16 lot of information available on the background
17 chemistry of this particular reaction, but there was
18 first a failure that somehow that information did not
19 get transferred to the U.S. when production began here.

20 Any understanding as to why that didn't occur?

21 MR. HELLER: I really couldn't pin that
22 down, and most of the people that had been involved at
23 that time in 1990 were no longer available.

24 DR. HILL: They've since moved on?

25 MR. HELLER: Retired or moved on, yeah.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. HILL: I see. And regarding the
2 particular batch process research that you said was
3 done here in the United States, where exactly was that
4 conducted?

5 MR. HELLER: That was done both in Paterson
6 and at the pilot facilities in Illinois.

7 DR. HILL: So there were batch processes
8 developed at both of those sites, but --

9 MR. HELLER: I think the process was
10 developed in Paterson, and then they tried it out in
11 the pilot reactors in Illinois.

12 DR. HILL: But then when they went to
13 production is when this change occurred, these series
14 of changes that occurred, larger volumes and full batch
15 rather than semi-batch.

16 MR. HELLER: Now, all of the pilot batches
17 were also full batch.

18 DR. HILL: Oh, they were?

19 MR. HELLER: Yes.

20 DR. HILL: Okay.

21 DR. TAYLOR: Any other questions?

22 DR. HILL: Thank you.

23 DR. TAYLOR: Gerry, do you have any
24 questions?

25 I have no questions on this section.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 What we'd like to do now, we're pretty much
2 on time. We'd like to take a 15 minute break. We will
3 have public comments after we complete our
4 presentations this morning or early afternoon. What
5 I'd like, if there's anyone in the audience who has not
6 signed up and you would like to make public comment,
7 there is a table out front, outside the hallway here
8 where you can sign up to do that, and we'll take a 15
9 minute break and come back at exactly 10:45.

10 (Whereupon, the foregoing matter went off
11 the record at 10:31 a.m. and went back on
12 the record at 10:45 a.m.)

13 DR. TAYLOR: I want to remind us, the Board
14 members as well as the presenters, I was told during
15 the break that it's very hard to hear in the back,
16 particularly when you turn your heads away from the
17 mic. So remember that, and they even said they
18 couldn't hear me. So that's pretty good because I'm
19 usually very vocal and people can usually hear me
20 without a mic. So please speak in the mics.

21 We are reconvening now the Morton
22 investigation report, and we will continue with Dave
23 Heller.

24 MR. HELLER: All right. Thank you, Andrea.
25 I'd like to move now into discussion of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Morton's process safety management program. The CSB
2 investigation focused on the following elements of the
3 Morton program: process safety information, process
4 hazards analysis, the previous batch history,
5 management of change, operating procedures, and
6 training.

7 First we'll talk about process safety
8 information. As we noted earlier, the Morton facility
9 was not aware of the presence of the decomposition
10 reaction. The process safety information package which
11 was used by the Paterson plant to design the production
12 process in 1990 and served as the basis for the process
13 hazards analysis conducted in 1995 noted the desired
14 exothermic reaction to produce the Yellow 96, but did
15 not include information on the undesired decomposition
16 reaction. It did not contain details of the research
17 performed in the United Kingdom, and it did not contain
18 the recommendations made by the United Kingdom
19 researchers regarding process safety and the control on
20 any additional testing. It was all in that memo we
21 noted from 1989.

22 There were two additional findings with
23 regard to the process safety information package that
24 I'd like to touch on. Morton's material safety data
25 sheet for Yellow 96 stated that the National Fire

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Protection Association or the NFPA reactivity hazard
2 rating for this material was a zero, and that's on a
3 zero to four scale with four being the most reactive.

4 The Chemical Safety Board has determined
5 that the proper reactivity rating for yellow dye 96 is
6 a one based on calculation method from the NFPA's
7 Standard 704, which is their standard system for
8 identification of hazards of materials for emergency
9 response.

10 Now, the reactivity rating is a ranking of
11 the degree of susceptibility of materials to energy
12 release, and the NFPA defines zero materials as
13 "materials that in themselves are normally stable even
14 under fire conditions, while one materials are normally
15 stable, but can become unstable at elevated
16 temperatures and pressures."

17 Now, the ratings are used by emergency
18 responders, as well as employees and customers, as an
19 indicator for the degree of hazard associated with the
20 chemical, and the NFPA also has a health and fire
21 rating on the same zero to four scale.

22 Well, anyway, in our case we had a zero
23 versus a one. Erroneous information regarding reactive
24 hazards can result in errors in handling the materials
25 or in responding to emergencies involving a given

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 substance. In this incident, the different didn't
2 enter into the emergency response activities.

3 Another point on the process safety
4 information, Morton stated in their process -- in
5 their material safety data sheets that Yellow 96 had a
6 boiling point of 100 degrees Centigrade, and Chilworth
7 determined that the atmospheric boiling point, in fact,
8 was approximately 320 degrees Centigrade, and we wanted
9 to note that that is well above the onset of the
10 decomposition reaction, which was 195 degrees
11 Centigrade.

12 Now, again, while not directly pertinent to
13 the incident, these are examples of shortcomings in the
14 information package. It could have contributed to the
15 operators and supervisors' unawareness of the possible
16 consequences of the process.

17 The next element is process hazards
18 analysis. Now, process hazards analysis, or PHA, it's
19 a structured, in-depth examination of potential hazards
20 of a process in which you look at the hazards; you look
21 at the consequences. You determine what existing
22 safeguards you have in place to protect against those
23 consequences, and on the basis of the differences
24 between those consequences and the safeguards, you'll
25 be able to see if you need to make recommendations to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 improve the process to make it safer, and those
2 recommendations can be in the form of safety equipment,
3 in the form of improved training, or changes in
4 procedures, really the whole gamut of things that you
5 can do to improve the process.

6 Now, the formal process hazards analysis
7 for Yellow 96 was conducted in January of 1995. That
8 was about four years after the first batch was produced
9 at Paterson. The analysis was performed using the
10 "what if" method. That's one of the accepted methods.
11

12 It was performed by a team. The team was
13 plant employees, and it included an engineer, a
14 chemist, a safety professional, and an operator.

15 The hazards analysis that was conducted for
16 the Yellow 96 process did not address the consequences
17 of important deviations, such as excessive heating, a
18 runaway reaction, or the inability to provide enough
19 cooling to maintain temperatures in a safe operating
20 range.

21 Morton's process safety management program
22 did not require that the PHA team, the process hazards
23 analysis team, question the adequacy of relief device
24 sizing. Consequently the reactor rupture disk was
25 significantly undersized and unable to relieve the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pressure generated during the incident.

2 Now, as noted earlier, the Paterson plant
3 had received a number of memos from the pilot facility
4 that indicated the potential for a thermal runaway in
5 the Yellow 96 process. However, when PHA team asked
6 the question, quote, "What if runaway reaction occurs?"
7 end quote, the PHA team recorded the hazard and the
8 consequences as "not applicable."

9 The team relied on the information from the
10 pilot plant and the success of the pilot plant batches
11 and the apparent success of the Paterson batches to
12 reach this conclusion. The team did not take into
13 consideration the potential for a runaway reaction,
14 although the potential was evidence from the product
15 development information.

16 Now, an effective process hazards analysis
17 program requires deviations of examinations from normal
18 operation that could turn an exothermic reaction, a
19 controllable exothermic reaction, into a runaway
20 situation. The PSM program should have required that
21 the process hazards analysis team consider deviations
22 like what if the ONCB is warmer than specified prior to
23 the 2-EHA addition or what if the predetermined
24 temperature ranges in the heat-up process cannot be met
25 because of, say, an equipment an instrumentation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 malfunction.

2 The process hazards analysis did ask the
3 question of what if the heating system failed, but they
4 did not ask the more relevant question: what if
5 there's inadequate cooling?

6 The Morton program did not require that the
7 process hazards analysis team consider the potential
8 ramifications of a number of high temperature
9 excursions that had occurred in previous batches.
10 Investigation of these incidents would have provided an
11 opportunity to correct design problems. I'll talk more
12 about these batches in a few minutes here.

13 And as a result of not recognizing the
14 potential for a runaway, the team did not consider the
15 need for additional safeguards, such as the ones
16 recommended by the United Kingdom researchers in 1989.

17 Now, the late Frank P. Lees, who was an
18 internationally recognized process safety expert, he
19 stated with regard to emergency safety measures,
20 quoting from his book, "There are a number of emergency
21 measures that can be taken if a process deviation
22 occurs which threatens to lead to a runaway reaction.
23 The prime measures are inhibition of reaction,
24 quenching of reaction, and dumping," end quote.

25 The United Kingdom recommendations of 1989

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did suggest a quenching or controlled quenching of the
2 reaction with water as an emergency safety measure.
3 However, the measures that were actually used at
4 Paterson, direct removal of heat and the full normal
5 cooling, are not listed in the Lees publication as
6 prime emergency safety measures.

7 Now, quenching with water may not have been
8 appropriate given the fact that the process was being
9 run above the boiling point of water and the condenser
10 vents and the relief vents would have had to have been
11 sized to take into account that generation of water
12 vapor, of steam that would have been taking the heat
13 out of the kettle, but again, this is an example of a
14 possible safety improvement that should have been
15 considered during the process design effort.

16 In the process hazard analysis, also, the
17 team, again, did not question whether the relief device
18 sizing was adequate. Now, effective process safety
19 management programs require that the hazard analysis
20 teams will hypothesize potential pressure relief
21 scenarios, loss of cooling or loss of agitation or
22 errors in the addition of the reactants, and those
23 would be upset conditions or error conditions that
24 result in the greatest amount of pressure generation
25 and require the greatest pressure relief area, relief

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 venting area.

2 The necessary venting area is then
3 determined through laboratory testing and calculations,
4 and scenarios such as these were not discussed during
5 the Yellow 96 PHA. Instead, again, the team relied on
6 the information they had received from the pilot plant
7 that a runaway situation was not expected.

8 So as a result, the kettle's venting system
9 was not designed to handle the pressure generation of
10 the runaway reaction and had been sized instead for
11 just the external fire scenario.

12 Now, after the incident, Morton themselves
13 calculated in their analysis afterwards that a vent
14 area of 116 square inches would have been required to
15 properly vent the two-phased flow mixture that resulted
16 from the decomposition reaction. On kettle K-7, the
17 six inch rupture disks had a venting area of only 28
18 square inches.

19 Now, Morton did make user of the DIERS
20 technology for this assessment of the relief
21 requirements, and DIERS is Design Institute for
22 Emergency Relief System. That's a consortium of
23 companies working under the umbrella of American
24 Institute of Chemical Engineers since 1976 to develop
25 methods for the design of emergency relief systems to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 handle run-away reactions and two-phased flow.

2 I noted in the process hazard analysis that
3 the team had not considered problems with previous
4 batches. Now, a number of these batches had exhibited
5 unexpected exothermic reactivity as seen by high
6 temperature excursions beyond the normal operating
7 range. There was an unusual temperature profile or the
8 maximum operating temperature of 150 to 153 was
9 exceeded in spite of the operator's efforts.

10 Now, in these batches, the temperature did
11 return to the operating limits. Now, management did
12 not investigate these warning events in the processing
13 history, and did not consider these previous incidents
14 during the PHA.

15 Some examples from batches, the operators
16 would put their findings or what they observed during
17 the batch on the batch sheet. So there was notes like,
18 quote, "Cooling not controlling temperature," end
19 quote, during one of the staged heat-ups. "Cooling
20 inadequate to control temperature" during a hold step.

21 On some of the batches, 14, 15, and 18, the
22 temperature chart, this 150 degree chart, the
23 temperature went past the 150 degrees. So it was off
24 scale on some of the batches for 30 minutes, and for
25 one batch up to 175 minutes, and again, 150 was about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the upper temperature the operators were trying to
2 control the batch at.

3 In 1995, the PHA was conducted. So you can
4 see that in '95 there was information from all these
5 high temperature batches that should have been used and
6 should have been discussed in the process hazards
7 analysis.

8 In 1996, starting with batch 25, Morton
9 switched from 1,000 gallon kettles to 2,000 gallon
10 reactors, and, again, that was to avoid color
11 contamination between the batches, and there was even a
12 higher frequency of events now in the larger kettles.

13 Batch 28 was in 1997. The operators noted
14 on the batch sheet "cooling water of no use," end
15 quote. And Batch 30 was a batch where the temperature
16 went off the chart, and 31, which was in March of 1998,
17 the batch just previous to the final Batch 32, again,
18 the temperature went off the chart, and the operators
19 from the digital readouts and in our interviews, they
20 recall the temperature was 180 to up to 200 degrees on
21 that batch. The temperature of cooling eventually
22 caught up with it, and it came back down.

23 Now, the high temperatures observed by the
24 operators were not always written on the batch sheets.
25 They did not verbally inform the supervisors of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 excursions when the temperatures returned to normal
2 limits, but the operators' written notes on the batch
3 sheets detailed above and the temperature charts
4 showing the temperatures greater than 150 should have
5 served as notification to supervision of the
6 temperature control problems and prompted management to
7 follow up with the operators.

8 Several supervisors, indeed, were also
9 aware that high temperatures had occurred in the past.

10 Now, these temperature exceedences (phonetic) were
11 considered a quality concern by management and not a
12 safety concern.

13 The next element we'll talk about is
14 management of change. Again, beginning with Batch 25
15 in '96, 1996, Paterson began producing the Yellow 96 in
16 the 2,000 kettles versus the 1,000 they had used for
17 the first 24 batches. And at that point they also
18 scaled up the size of the material, the batch contents,
19 by about nine percent.

20 The combination of these two changes
21 affects the amount of -- again, the jacket surrounds
22 the vessel, and when you go to a larger vessel and
23 change the amount, it affects the amount of heat
24 transfer area that is actually touching or surface,
25 cooling surface, that's touching the wetted part or the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 part of the vessel below the liquid level inside.

2 And it was about a ten percent reduction in
3 available heat transfer area per gallon of material
4 after that change was made. So the batches in the
5 2,000 gallon kettles had less cooling per gallon of
6 reacting material than the batches in the 1,000 gallon
7 kettles.

8 Again, the fact that they were running very
9 close to the runaway conditions, all of these batches
10 that had high temperature excursions, it's even now
11 less likely that the operators will be able to control
12 the reaction in the larger kettles.

13 And, in fact, while 20 percent of the
14 batches before in the 1,000 gallon kettles showed the
15 high temperature exceedences, fully 50 percent of the
16 six batches made after the change showed the high
17 temperatures.

18 Now, Paterson did not use its management of
19 change procedures to review the safety of these
20 changes, even though they met the definition of a
21 change in Paterson's process safety management program.

22 These are the types of changes that are routinely
23 done, reviewed at chemical plants.

24 The batch sheets also were never modified
25 to reflect these changes, and the batch sheet -- again,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one of the consequences of doing a management of change
2 is you assess the consequences, and you take steps to
3 protect against any consequences from that change, and
4 you also update your information. You update your
5 training, your procedures, and your drawings and such
6 to reflect that change.

7 But the batch sheets in use in April '98
8 were last revised in 1996. They specified the use of
9 the 1,000 gallon kettle, and the scaled up volumes is
10 nine percent or ten percent/nine percent scale-up in
11 the volume were indicated on the batch sheets by
12 crossing out the old volumes and just writing in the
13 new volumes.

14 The final two elements of process safety
15 management that are relevant here are operating
16 procedures and training, and we'll talk about those
17 really kind of together. They're really related to
18 each other.

19 The Yellow 96 batch sheet contained little
20 guidance for the operators on how to manage the
21 exothermic reaction between the ONCB and the 2-EHA, and
22 as a result, each operator ran the process a little bit
23 differently, and these differences combined in Batch 32
24 to produce the runaway reaction.

25 Potential consequences of this lack of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guidance included there was items in the batch sheets
2 that said things like, quote, "Adjust the temperature
3 of the kettle to 40 to 42 degrees with mixing," end
4 quote, and the onset temperature was 38 degrees.
5 Again, that lack of knowledge. The higher temperatures
6 can lead to early initiation of the reaction and make
7 it less likely for the operators to control.

8 The batch sheet stated carefully heat the
9 batch to 90 degrees. "Do not overheat or batch will
10 start to exotherm," end quote.

11 Another quote, "carefully give batch small
12 shots of steam to raise the temperature two to three
13 degrees if necessary," end quote.

14 And there are no instructions or training
15 on how much steam to apply or how long to apply the
16 steam. So, again, each operator had their own
17 technique, and they were looking for different
18 temperature milestones to determine when to switch from
19 the steam to the cooling water.

20 Now, on Batch 32, the operators stated that
21 they let the steam enter the jacket for about five to
22 ten minutes with five pounds of steam on the jacket,
23 pressure of steam. They did not apply the cooling
24 water until the batch reached a temperature of 100 to
25 110 degrees.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is somewhat contrary to the experience
2 of the other operators who stated that the amount of
3 steam emitted to the jacket should be minimal, lasting
4 only one to five minutes, and that the cooling water
5 should be applied when the batch temperature reached 70
6 to 80 degrees.

7 Now, a note on the final reaction step
8 said, "Do not heat batch above 160 or yield and quality
9 will be lower," end quote, and the operators and
10 supervisors stated during interviews that they had not
11 been trained regarding the risk of a runaway exothermic
12 reaction in this process. They believe that
13 temperatures higher than the maximum of 160 would only
14 result in quality problems in the finished products.

15 And, again, the temperature chart could
16 only record up to 150. So as far as a history of the
17 batch, that really limited Morton's ability to document
18 the temperature profiles and to identify the abnormal
19 temperature deviations.

20 So Batch 32, additional steam raised the
21 reaction rate to a point where it was generating heat
22 faster than it could be removed by the cooling water,
23 and that's just an immediate cause or a direct cause of
24 the event, but it really just highlights the
25 circumstances under which the operators were being

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 asked to run the process.

2 They knew the batch was sensitive to heat,
3 but they were unaware that there was the potential for
4 a runaway or a decomposition.

5 Plant operating procedures didn't really
6 given them the guidance on how much heating or cooling
7 to supply, and every operator was really using their
8 own experience on the batch, and also on emergency
9 procedures, the operating procedures did not address
10 the handling of emergency situations in the kettles.
11 The operators were not sufficiently trained to
12 understand or react to this runaway situation. They
13 were told to insure that there was full cooling water
14 on, and they were really given no other instructions.

15 They were told to obtain help from their
16 supervisors when unusual events occurred. So on the
17 evening of the incident, the supervisor, two operators
18 running the batch, and the other operators in the area
19 stayed by the kettle while first rapidly rising
20 temperature exceeded the upper operating procedure
21 limit of 160.

22 Second, the residual 2-EHA started boiling
23 and the reaction started generating additional gases.

24 Third, the violently boiling mixture is
25 flooding the condenser.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Fourth, the ruptured disks actuate because
2 of the pressure.

3 Fifth, the kettle is rumbling and shaking.

4 And finally, the kettle exceeds the
5 decomposition temperature for -- the onset temperature
6 for the decomposition reaction of 195 degrees.

7 And after the operators had established
8 that the heating was off and the full cooling was on,
9 but the temperature continued to go up, their presence
10 really couldn't contribute anything to preventing an
11 incident such as the one that occurred.

12 And now I'll break.

13 DR. TAYLOR: Okay. Any questions of Board
14 members?

15 DR. HILL: Dave, you indicated that there
16 were various notes along the way that operators had
17 written on the batch sheets. Did they express a
18 concern that, hey, this is a dangerous process or we're
19 afraid that it might blow at any point and bring that
20 to management's attention?

21 MR. HELLER: That was really only --
22 everybody was aware of the -- that it was very
23 sensitive. That specific concern, I think, was only
24 discussed in an interview with one operator.

25 DR. HILL: So nothing happened as a result

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of those notes being --

2 MR. HELLER: Again, yeah.

3 DR. HILL: -- just occurring over a period
4 of time?

5 MR. HELLER: This was over the eight years
6 they were making the product, and the notes were there
7 on the batch which the supervisors were given after the
8 completion of each batch.

9 DR. HILL: Okay, and I think you also said
10 that the sheet for this particular batch, I believe it
11 was Batch 32?

12 MR. HELLER: Right.

13 DR. HILL: The sheets were lost in the
14 fire?

15 MR. HELLER: They were not recovered,
16 right.

17 DR. HILL: Okay. Okay. Thank you. That's
18 all.

19 DR. TAYLOR: I guess I wanted to follow up
20 on Paul's question regarding the batched sheets. The
21 temperature increases that were listed on the batch
22 sheets were largely for quality control versus any
23 reminder to or alerting the supervisor that there could
24 have been a problem with safety?

25 MR. HELLER: Well, the temperature, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 high temperature of the 150, the top operating
2 temperature, 160, the maximum that they warned about
3 were considered a quality, but the way the operation
4 worked is it started, heated up to 90, and then they'd
5 slowly raise the temperature and let the reaction cook,
6 if you will, at that temperature for a while, and then
7 they'd raise it a little more and a little more.

8 That was really their means of trying to do
9 it slowly and keep the heat from exceeding their --

10 DR. TAYLOR: And the supervisors nor the
11 employees were aware of the potential danger that could
12 occur.

13 MR. HELLER: Well, they knew it was
14 exothermic. They knew that the reaction would start to
15 take off. They'd all seen these batches where the
16 temperature had gone very high, and fortunately the
17 cooling water was brought on soon enough that it didn't
18 really get to that big ramp up of the decomposition.

19 But they weren't aware that it could keep
20 going.

21 DR. TAYLOR: Okay. Thank you.

22 DR. POJE: Dave, is there any evidence that
23 was gathered about the particular operators and these
24 excursions to indicate that they were unique to an
25 operator, particularly the operator in this case?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HELLER: I think most of the operators
2 had experience of those events over the course of the
3 years.

4 DR. POJE: And was there communication
5 amongst the operators about such a problem that
6 influenced each other's approach towards managing?

7 MR. HELLER: The training was pretty much
8 on-the-job type training where an experienced operator
9 would have a new guy and kind of walk them through a
10 batch, and they'd do it together a few times to see,
11 well, here's where I turn the temperature on, and
12 here's where I switch to cooling water.

13 So it was that kind of training going on in
14 the field.

15 DR. POJE: I mean, wouldn't it be correct
16 to say that since concerns were already raised about
17 the temperature went above 160, got yield and quality
18 that went much lower than what you wanted to have, that
19 it was, in fact, an understanding that there was a
20 decomposition occurring here; that it was a temperature
21 higher than the normal range? You're not getting the
22 product that you need to have. You're getting
23 something else, and it obviously is something that is
24 degraded from your intended, desired reaction.

25 MR. HELLER: Yeah, there could have been,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but there's -- yeah, the high temperature could have
2 caused problems with the chemicals, and obviously there
3 were reactions occurring, but I don't think the --

4 DR. POJE: But not formalized.

5 MR. HELLER: It was never really formal.
6 They never put two and two together, that maybe these
7 quality problems were the precursors for the big
8 decomposition.

9 DR. POJE: And just to clarify one
10 additional point, you identified a number of situations
11 that would have fallen into the Morton Paterson
12 facility's management of change requirements, the
13 change from 1,000 to 2,000 gallon vessel, the change in
14 batch size, the change in heat transfer rate.

15 From your experience and the team
16 investigating this's experiences, you're saying that
17 these are common threshold activities that would
18 initiate formal management of change review procedures
19 commonly throughout the industry.

20 MR. HELLER: That would be common
21 throughout the industry. In fact, in interviews, the
22 Paterson management said, "Yeah, we should have
23 reviewed that change, those changes."

24 DR. POJE: And then just one more point to
25 clarify. You talked a little bit about the NFPA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ratings, particularly the change from zero to one, but
2 in the instance of understanding the reactive chemistry
3 problems in a vessel, the NFPA ratings in and of
4 themselves are not sufficient to tell you about the
5 reactive chemical conditions that you're likely to
6 have.

7 NFPA is --

8 MR. HELLER: Right. The NFP --

9 DR. POJE: -- with fire in an ambient
10 pressure, an open pressure situation.

11 MR. HELLER: Exactly right.

12 DR. POJE: Or ambient temperatures, and
13 here we have very different conditions that chemicals
14 are being placed under.

15 MR. HELLER: The NFPA in their standards
16 and 704 and 409 where they list a lot of the chemicals,
17 they state in there that these ratings are for use by
18 emergency responders, fire fighters in assessing.

19 Again, the thing is that you come up to a
20 tank and there's a fire, and the NFPA system is a large
21 diamond, and there's a blue area for health and a red
22 area for fire and a yellow area for reactivity. I
23 might have the colors wrong, but it's on the side of
24 the tank.

25 So the fire fighter comes up there, and he

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can see this tank has a big W on it with a line through
2 it. That means it's reactive with water, or it has a
3 three or a four. It's very reactive or it's very
4 flammable, and that's their notice to back off or to
5 reconsider their tactics.

6 DR. TAYLOR: Thank you.

7 You can continue.

8 MR. HELLER: Okay. Finally, I'd like to
9 talk about the regulatory aspects of the process safety
10 management as it pertains to the management of reactive
11 chemical hazards at Morton and in the chemical process
12 industry in general.

13 OSHA's process safety management standard
14 did not contribute directly to causing this incident.
15 However, OSHA's process safety management standard
16 establishes only minimum requirements on process safety
17 management. Additional guidance would likely have
18 caused the Morton-Paterson staff to recognize the
19 hazards of the '96 process and taken steps to avoid the
20 incident.

21 OSHA process safety management standard,
22 again, did not cover the '96 process. Coverage is
23 determined on a per process based on the chemicals used
24 in that process.

25 However, Morton did include the process

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 under their internal process safety management program
2 which applied to the OSHA regulated processes and
3 certain other processes. In most respects NHTSA
4 patterned its program after the OSHA standard.
5 However, there were significant emissions and
6 differences.

7 Also, the Morton program did not require
8 adherence to a number of industry good practices for
9 the safe management of reactive chemical processes.

10 Now, the OSHA standard, the process safety
11 management standard, only refers to reactive chemicals
12 and reactive chemical hazards in describing the types
13 of process safety information that's required for a
14 process, the reactivity, the thermal information, the
15 stability information and such.

16 And the OSHA process safety management
17 standard covers chemicals that are ranked threes and
18 fours under the NFPA's reactivity rating. Again, that
19 was the zero to four system, with four being the
20 highest.

21 The PSM standard covers all flammable
22 materials which are materials that are formally defined
23 with a flash point below 100 degrees Fahrenheit, and it
24 covers a little more than 100 other materials that are
25 toxic or reactive.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The Environmental Protection Agency's risk
2 management plan program for reactive chemicals does not
3 cover reactive chemicals as a class. Some reactives
4 are covered because they qualify for inclusion because
5 of their other properties. Either they're toxic or
6 they're flammable.

7 Now, in the past, safety guidelines have
8 been issued by OSHA and EPA, and they have been used
9 extensively by industry. One great example is the
10 EPA's off-site consequence analysis guidance, and that
11 was developed for use by industry to comply with the
12 risk management program requirements.

13 More recently, books such as Lees' Loss
14 Prevention in the Process Industries and the United
15 Kingdom Health and Safety Executive, again, U.K.'s
16 equivalent of OSHA, they have recently published a book
17 called Designing and Operating Safe Chemical Reaction
18 Processes that are available with a lot of specific
19 information.

20 We've brought several copies of that HSE
21 booklet with us here today, and if you have an
22 opportunity after the presentation, please take a look
23 at those. They're available from the Health and Safety
24 Executive's Web site.

25 With respect to Paterson's process safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 management program now, some of the shortcomings
2 included the following.

3 Under the requirements for what a PHA
4 should address, the Morton program did not include
5 OSHA's requirement for identification of any previous
6 incident which had a likely potential for catastrophic
7 consequences in the work place. An investigation of
8 these occurrences would have provided an opportunity to
9 correct design problems which likely would have
10 prevented the incident.

11 An operating procedure is required for
12 emergency shutdowns, and Morton's programs simply list
13 emergency shutdown in a list of required procedures and
14 omits OSHA's requirements under emergency shutdown,
15 that the procedure should state the conditions under
16 which a shutdown is required, and what are the
17 operator's responsibilities.

18 Again, inclusion of this information in the
19 training and the operating procedures might have caused
20 the operators to evacuate sooner.

21 There were also some inadequacies in
22 Morton's implementation of its process safety
23 management program. The Morton program required that
24 the process safety information package contain copies
25 of laboratory work, pilot plant work, and other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 testing, including anything performed outside the
2 company that pertains to the hazards posed by the
3 chemicals using the process, and it required
4 information on kinetic data for important reactions,
5 process reactions, and undesirable reactions, and they
6 do say in their internal standards "such as
7 decompositions."

8 Again, as we said in the process safety
9 information sections, there were a number of memos and
10 notes that touched on the exothermic nature of the
11 process, but the testing results and the memos that
12 explicitly discuss the runaway were not provided to the
13 PHA team or used to inform the operating personnel.

14 And also the change from the 1,000 to 2,000
15 gallon kettles was not approved through the Morton
16 management of change process, and again, here Morton
17 missed an opportunity to assess the hazards of the
18 process and take steps to avoid an incident.

19 Finally, we'd like to relate the Morton
20 event to some other recent catastrophic events in the -
21 - reactive chemical events -- in the industry.
22 Incident databases, such as the EPA's emergency
23 response notification system and OSHA's incidence
24 statistics, contain upwards of 30 events in the last
25 decade that were characterized by key words, such as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 exothermic reaction or runaway reaction, and two of the
2 serious events of this type were the Napp incident and
3 the Georgia Pacific incident.

4 Of course, the Napp explosion and fire in
5 Lodi, New Jersey on April 21st of 1995, there were five
6 deaths, as well as injuries, evacuations, and serious
7 damage on an off site.

8 And according to the EPA-OSHA report on the
9 incident, the most likely cause of the incident was the
10 inadvertent introduction of water into water reactive
11 materials, in this case aluminum powder and sodium
12 hydrosulfite during a mixing operation, and it resulted
13 in a runaway reaction.

14 And as in the Morton case, the chemicals
15 and the chemical reactions involved in the Napp
16 incident were not covered under the OSHA process safety
17 management standard.

18 In late 1995, OSHA received a petition to
19 promulgate an emergency temporary standard as a result
20 of the Napp incident, and the purpose of the petition
21 was to expand the list of chemicals covered by the PSM
22 standard, and as of July 2000, as of our meeting here
23 today, OSHA has not acted on this petition.

24 The second incident was an explosion in
25 1997 in Columbus, Ohio, at the Georgia Pacific Resins,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Incorporated, and that killed one worker and injured
2 four others. This explosion was also caused by a
3 runaway reaction.

4 As detailed in the EPA chemical safety case
5 study on this incident, the runaway was triggered when,
6 contrary to standard operating procedures, all the raw
7 materials and catalysts were charged through the
8 reactor at once, followed by the addition of heat, and
9 under the runaway conditions, heat generated exceeded
10 the cooling capacity of this system, and the pressure
11 generated could not be vented through the emergency
12 relief system, causing the reactor to explode.

13 On the Georgia Pacific event, the PHA that
14 had been conducted, the process hazards analysis, had
15 not considered the failure to control the rate of
16 chemical addition, and the pressure relief system was
17 not sized to handle the pressure rise from such an
18 event.

19 Morton, Napp, and Georgia Pacific were
20 three of the most significant and highly studied
21 reactor chemical incidents in the United States in
22 recent years. Again, there are others, as I noted just
23 a minute ago.

24 At this point, again, are there any
25 questions on the regulatory issues?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. HILL: Yes, Dave. You testified that
2 basically, although Morton at this facility was making
3 a concerted effort to apply a process hazards analysis
4 to this particular process, it wasn't required, but
5 that that process was somehow deficient, was rather
6 deficient in some areas of not looking particularly
7 where problems may have indicated they had surfaced
8 basically by using a more thorough process. Is that
9 correct?

10 MR. HELLER: The process was not covered by
11 the OSHA process safety management standard. Morton
12 did cover it by their internal process safety
13 management standard. Many times when companies have a
14 mix of -- especially in a batch plant -- a mix of
15 processes that are covered or not covered, they will
16 cover them all just so everything gets that same type
17 of exposure, same type of analysis.

18 DR. HILL: I think you also said that
19 that's standard industry practice.

20 MR. HELLER: Pretty much.

21 DR. HILL: Good practice. You also
22 indicated that the notes were made on the bad sheets
23 about temperature excursions. Was there any evidence
24 that you uncovered during this investigation that there
25 were any other indicators of any type that may have led

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anyone at the facility to be alarmed about this
2 situation?

3 I mean, were there any small fires or
4 venting activities or anything that would have been an
5 alarm basically?

6 MR. HELLER: No, we're not aware of
7 anything other than the batch sheets and then the
8 temperature charts, the circular chart were stapled to
9 the batch sheets for each batch, and again, they would
10 have showed that they had pegged out or maximized the
11 chart reading at 150 degrees on those several batches.

12 DR. HILL: Thank you.

13 That's all.

14 DR. POJE: Dave, you mentioned good
15 management practices in a number of arenas here. Do
16 you have any sense of good management practice in the
17 auditing and updating of process safety information
18 packages or in reviews of process hazard analyses that
19 would put us into a more accelerated incorporation of
20 newer knowledge or more recent knowledge about process
21 deficits?

22 MR. HELLER: The good practices, you
23 develop the process safety information package as the
24 process is developing. So on the bench scale, you have
25 little information, and as you do the testing, you do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 your thermodynamic testing. That package grows; you
2 learn more about the process.

3 OSHA requires before you do the process
4 hazards analysis that you have the full process safety
5 information package. There's probably 15, 20 specific
6 items that are required on that list of process safety
7 information.

8 DR. POJE: But as new information is
9 gathered in the real production process either at the
10 1,000 gallon or 2,000 gallon level and you have these
11 excursions occurring, at what point in time does it
12 trigger a new understanding of the hazards of the
13 operation, as well as perhaps the generation, as was
14 stated earlier, of better information in a process
15 safety information package?

16 MR. HELLER: The high temperature
17 excursions were an opportunity to determine what went
18 wrong and do an investigation and see what were the
19 circumstances and was it a one time event or was there
20 something systemic in the equipment or in their
21 systems.

22 The management of change, again, was
23 another opportunity to update their information and do
24 that sort of analysis.

25 DR. POJE: And while most of our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 investigation focused in on the production of automate
2 Yellow 96 dye and the batches associated with that, one
3 presumes that there is a multitude of dyes and other
4 chemicals being produced at this facility. Was there
5 any investigation conducted to look at other processes
6 that may have had similar deficiencies?

7 MR. HELLER: This was apparently one of the
8 more energetic processes at the site. I'm not really
9 aware from my point of view of any other investigations
10 that were done.

11 DR. TAYLOR: Dave, I have a question going
12 back to the OSHA PSM standard. Now, under process
13 safety information, companies are required to list the
14 hazardous effects of inadvertent mixing of different
15 materials.

16 MR. HELLER: Right.

17 DR. TAYLOR: So even though OSHA includes
18 the NFPA of three and fours for rating chemicals for
19 reactivity and these were zeros or --

20 MR. HELLER: Yeah, zeros and ones, yeah.

21 DR. TAYLOR: And ones. Had there been
22 enough analysis conducted, would the mixing have been
23 identified as covered under OSHA PSM?

24 MR. HELLER: There's a difference between
25 what you're talking about as inadvertent mixing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. TAYLOR: Okay, all right.

2 MR. HELLER: What OSHA means there is if
3 you put the wrong material in the kettle. This was the
4 desired reaction, the ONCB and the 2-EHA. Typically
5 for inadvertent mixing, you do what you call a
6 reactivity grid where you take everything in your
7 building, and it's like a map, a mileage chart on a map
8 where you have all of the places on one side and the
9 other side you take the intersection to see what
10 happens.

11 You do that for all the combinations of
12 chemicals, and it helps you decide maybe I need to
13 store these away from each other or make sure we have
14 better labeling.

15 But, again, this was the desired reaction,
16 not an inadvertent reaction.

17 DR. TAYLOR: Okay. Any other questions?

18 (No response.)

19 DR. TAYLOR: Thank you, Dave.

20 MR. HELLER: Okay. Bill Hoyle is now going
21 to summarize our determination of root causes and the
22 contributing causes, and he will be then presenting our
23 proposed recommendations.

24 MR. HOYLE: Good morning. I'm Bill Hoyle.
25 I'm the Director of Investigations and Safety Programs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for the Chemical Safety Board, and it's my pleasure to
2 join you. It's still before noon, so I'm glad about
3 that.

4 I want to recap briefly, review the root
5 and contributing causes of the incident, which Dave
6 outlined at the beginning of the presentation, to
7 review those in preparation for presentation of our
8 recommendations.

9 First root cause is that neither the
10 preliminary hazard assessments conducted by Morton in
11 Paterson during the design phase in 1989, nor the
12 formal process hazard analysis conducted in 1995
13 addressed the reactive hazards of the Yellow 96
14 process.

15 This had the following results, as has
16 already been reported, that the cooling capacity of the
17 kettle was not appropriate for the process that it was
18 being produced in that kettle.

19 The kettle was not equipped with a quench
20 or an emergency reactor dump system, which would have
21 likely prevented the explosion.

22 The height, emergency pressure relief
23 device, the rupture disk, was not properly sized. If
24 it had been sized properly, that also may have avoided
25 the catastrophic event.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And then in addition, procedures as Dave
2 has outlined. Procedures didn't address safe control
3 of the process or give guidance to personnel of when
4 was it time to evacuate and leave the building.

5 It is possible that they still could have
6 had the runaway reaction, but that personnel could have
7 evacuated the building in advance with proper training.

8 Next root cause, process safety information
9 provided to plant operations personnel and the team
10 doing the formal process hazard analysis did not warn
11 them of the potential for a dangerous runaway chemical
12 reaction. As has been reported here, Morton's own
13 researchers had documented the problems, concerns with
14 the exothermic reaction, and the need for further
15 research, further testing, and further safety measures,
16 but these were not acted upon.

17 At the facility operators and supervisors
18 were unaware that a dangerous, undesired decomposition
19 reaction was possible.

20 A third root cause, process development did
21 not address important aspects of the reactive hazards
22 of this process. In particular, in the process
23 development work they changed from a staged addition or
24 semi-batch process to a staged heating batched process,
25 and they did not adequately address the increased

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hazards of this change.

2 The change resulted in providing operators
3 with less opportunity and less margin of safety in the
4 manufacturer of the material.

5 I need to step back a moment. I wanted to
6 preface my discussion of the root causes with a brief
7 definition of what we mean by use of the term "root
8 cause." It's one that's used commonly, but we're using
9 it to mean something in particular at the Chemical
10 Safety Board.

11 And by root cause, we mean those prime and
12 underlying causes that resulted in a catastrophic
13 chemical incident, and that further we have two
14 qualifiers on that. First, that in our vision, there
15 are virtually always multiple root causes. There is
16 rarely one root cause.

17 And then lastly, we find that root causes
18 almost always are found or involve problems in
19 management safety systems. In other words, an operator
20 error is typically involved or often involved in any
21 major chemical incident, but it's rarely a root cause.

22 It's a symptom of an underlying problem in management
23 systems, as has been outlined today in the analysis
24 presented.

25 Now I want to move on to the category of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 contributing causes. These are things that we also
2 found causal to the incident, but not rising as high in
3 significance as those that we outlined as root causes.

4 First, the hazards of operational
5 deviations were not evaluated. Management did not
6 investigate the evidence from prior batches of trouble.

7 If that had been investigated, it likely would have
8 provided the opportunity to take measures that would
9 have prevented the catastrophic event that happened in
10 1998.

11 And lastly, Morton did not follow their
12 management of change procedure to review changes made
13 in the size of the reaction kettle and the size of the
14 batch, and that's pretty self-explanatory.

15 Now I want to move to our investigations,
16 and I want to preface this by saying we have a number
17 of recommendations to various organizations, and they
18 include the following: Morton International, the
19 Morton Paterson facility, the EPA, OSHA, and also there
20 will be various organizations that we want to have help
21 share information about this report, and I'll explain
22 that in a moment.

23 So the first recommendation is to Morton
24 International, Incorporated. This is the parent
25 company of the Morton Paterson facility, and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recommendation is to establish a program to insure that
2 reactive chemical process safety information is shared
3 with all relevant units of the company.

4 In this particular incident, important
5 safety information about reactive hazards was
6 identified by company researchers in the United
7 Kingdom, but this information was not made known to
8 Paterson plant personnel who needed the information in
9 order to safely operate the process.

10 The next five recommendations are directed
11 to the Morton Paterson facility itself. First,
12 revalidate process hazard analyses for all reactive
13 chemical processes in light of the findings of the CSB
14 report and upgrade as needed equipment, operating
15 procedures, and training.

16 In this incident the process hazard
17 analysis that was conducted failed to identify the
18 potential for a dangerous runaway reaction. As has
19 been explained, this resulted in serious design
20 deficiencies, as well as safety procedure problems and
21 other problems that have been reported on.

22 Next, evaluate pressure relief requirements
23 for all reaction vessels using appropriate technology,
24 such as the Design Institute for Emergency Relief
25 Systems, DIERS; method and test apparatus; and upgrade

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 equipment as needed.

2 As already reported by Dave Heller, the
3 high pressure emergency relief device in the kettle was
4 much, much smaller than was needed to safely vent the
5 kettle in the event of a runaway reaction.

6 The next recommendation to Morton is to
7 evaluate the need for, and install as necessary,
8 devices such as alarms, added safety instrumentation,
9 and quench or reactor dump systems to safely handle
10 reactive chemical process hazards.

11 As we've reported, in this incident the
12 equipment, the process kettle, was not equipped with a
13 quench or reactor dump system. If it had been so
14 equipped, it is likely that it would have prevented the
15 catastrophic event.

16 Next, revise operating procedures and
17 training for reactive chemical processes, as needed, to
18 include descriptions of the possible consequences of
19 deviations from normal operations and steps that should
20 be taken to correct these deviations, as well as
21 emergency response actions.

22 In this incident, the company procedures
23 and training did not warn personnel of the possibility
24 and the dangers of the runaway reaction. Training and
25 procedures should have directed personnel to evacuate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the building once the process became uncontrollable,
2 and that an explosion was likely.

3 And next, to the Morton Paterson facility,
4 implement a program to insure that deviations from
5 normal operational limits for reactive chemical
6 processes that could have resulted in significant
7 incidents are documented, investigated, and necessary
8 safety improvements are implemented.

9 As has been reported here, there are a
10 number of previous batches. Normal process
11 temperatures were exceeded. They were documented, and
12 the investigation of these near miss type of events
13 could have provided the opportunity to identify design
14 and procedure problems and to correct those problems
15 prior to experiencing a catastrophic incident.

16 The next two recommendations are made to
17 both OSHA and the EPA. First, it is recommended that
18 OSHA and EPA issue joint guidelines on good practices
19 for handling reactive chemical process hazards, and
20 that they insure that these guidelines, at a minimum,
21 address the following:

22 First, the evaluation of reactive hazards
23 and consequences of reasonably foreseeable and worst
24 case deviations;

25 Second, reporting and investigating

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant deviations from normal operating limits;

2 Third, determination of pressure relief
3 capability, emergency cooling, process controls,
4 alarms, safety interlocks, as well as other good
5 practice design features;

6 And, last, appropriate use of chemical
7 screening tools, such as differential scanning
8 calorimetry.

9 In the course of the CSB's investigation of
10 this incident, we examined the guidance provided by
11 OSHA and EPA to companies that handle manufacture,
12 involved in reactive chemical process operations, and
13 we found that these safety agencies provide very few
14 specific guidelines for reactive chemical safety.

15 Issuance of such guidelines by these
16 primary government chemical safety agencies, while not
17 having the force of law, would be still a significant
18 step forward in improving reactive chemical process
19 safety.

20 It has been reported here, for example,
21 that the Health Safety Executive in the United Kingdom,
22 a sister organization, similar organization to EPA and
23 OSHA, has just recently published a booklet with
24 guidelines that would be very valuable.

25 I should also point out that the way that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the HSC developed those guidelines was in partnership
2 between government, industry, and organized labor
3 actively participating in the creation of those
4 guidelines.

5 The next recommendation is again to OSHA
6 and EPA, and it's that they participate in a hazard
7 investigation of reactive chemical process safety to be
8 conducted by the CSB. The objectives of the hazard
9 investigation would include the following:

10 First, a determination of the frequency and
11 severity of reactive chemical process incidents;

12 Second, an examination of how industry,
13 OSHA, and EPA are addressing reactive chemical hazards;

14 Third, an analysis of the effectiveness of
15 industry and OSHA use of the NFPA reactivity rating
16 system for process safety management purposes;

17 And, lastly, development of recommendations
18 for reducing the number and the severity of reactive
19 chemical incidents.

20 I need to take a moment to explain what we
21 mean by the term "hazard investigation." It may be new
22 to those who are in attendance today.

23 A CSB hazard investigation differs from an
24 investigation of a particular incident. A hazard
25 investigation examines a particular hazard, such as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reactive chemical process operations. A hazard
2 investigation of reactive chemical process operations
3 would include an examination of a number of different
4 incidents involving reactive chemicals and would
5 identify common elements involved in these incidents.

6 A CSB hazard investigation would make
7 specific recommendations to improve reactive chemical
8 safety. In short, let me add further that the proposed
9 hazard investigation is very similar to something
10 called a special investigation, which is conducted by
11 the National Transportation Safety Board. From time to
12 time the NTSB looks at a safety problem or a general
13 safety problem and/or a series of potentially related
14 incidents in a special investigation, and then they
15 develop recommendations.

16 Most recently the NTSB was interested in
17 the issue of bus safety, and so they did a special
18 investigation where they looked at, I believe, 40-some
19 bus accidents to see if they could draw common
20 conclusions and to make recommendations for improving
21 safety.

22 So this is an additional activity that we
23 think is important and that will have a big benefit for
24 improving process safety involving reactive chemical
25 operations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And the final recommendation. The final
2 recommendation is to the American Chemistry Council,
3 formerly known as the Chemical Manufacturers
4 Association, to the Center for Chemical Process Safety,
5 CCPS, to the Paper, Allied Industrial, Chemical and
6 Energy Workers International Union, PACE, and to the
7 Synthetic, Organic, Chemical Manufacturers Association,
8 SOCMA.

9 And the recommendation is that they
10 communicate the findings of this report to their
11 memberships.

12 One may wonder why are we making
13 recommendations to these organizations. Well, an
14 important part of the CSB's mission is an educational
15 one, and part of that education is the dissemination of
16 the lessons that are learned from investigation reports
17 like this one of the Morton incident.

18 And so one aspect of our recommendations
19 program is to recommend to key organizations who are
20 particularly well situated to get the information out
21 and to transmit the lessons learned to those that need
22 to learn it, to make recommendations to them to share
23 the information with their members. So that's the
24 reason that we make recommendations of this type.

25 That concludes the presentation of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff to the Board, and we would entertain any
2 questions.

3 DR. TAYLOR: Thank you, Bill.

4 I have one question regarding
5 recommendations to OSHA and EPA. Why not a
6 recommendation on rulemaking?

7 (Applause.)

8 MR. HOYLE: Okay. You're popular. We'll
9 see if I am.

10 (Laughter.)

11 MR. HOYLE: Well, I think there's a number
12 of things to think about in that question. As was
13 reported by Dave Heller, we are aware of the emergency
14 petition to expand the PSM standard to include more
15 reactive chemicals, which was delivered to OSHA in
16 1995, but which has not been acted upon by OSHA at this
17 date.

18 Let me say that it is unusual for the
19 findings of an investigation of just one incident to be
20 sufficient to recommend new federal rulemaking. It's
21 not impossible, but it is unusual.

22 And as has been reported here, the CSB is
23 aware of a number of significant incidents in recent
24 years that have involved reactive chemical process
25 operations. Dave mentioned a couple of those, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there are others that are even more recent where common
2 lessons may be derived to make for a more powerful
3 recommendation, to make even further steps forward for
4 reactive chemical process safety.

5 Of course, we're all familiar with the Lodi
6 incident, but there have been a number subsequent to
7 that, in addition to Morton. So the recommendation, in
8 my view, for CSB hazard investigation, as defined as a
9 special investigation, it's what we call a hazard
10 investigation. I think that will provide a powerful
11 and excellent opportunity to examine this whole range
12 of reactive chemical incidents that we are aware of,
13 and to identify possible common causes and problems
14 that may be associated with those incidents.

15 And I think that the proposed hazard
16 investigation would serve as a very good basis for
17 looking at a whole range of recommendations, and I
18 think one of those recommendations could include the
19 possibility of the need for rulemaking by OSHA to
20 address reactive chemical safety in a different way or
21 in a more effective way.

22 So that's the thinking of the staff on not
23 recommending out of this particular incident
24 investigation rulemaking from OSHA, but that the hazard
25 evaluation -- that that would be something that would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be a part, an important part of that investigation.

2 DR. HILL: Thank you, Bill, and thanks to
3 the rest of the staff for presenting us with this
4 information today. Obviously these recommendations, as
5 Dr. Taylor pointed out early on, must be considered and
6 weighed by the Board before we act on to implement them
7 or modify or whatever, as she indicated, but I have to
8 ask the basic question, and that is, indeed: do you
9 feel, does the team feel, that if these recommendations
10 were implemented, would the Morton case, this case
11 we're looking at today, have been avoided?

12 MR. HOYLE: Well, absolutely, on the
13 staff's part. If the recommendations that are made to
14 Morton that have been outlined here had been in place,
15 yes, they would. They would have likely prevented this
16 catastrophic incident from 1998, and in addition, we
17 think they also would help to prevent a whole range of
18 similar possible incidents in their operation.

19 So we think it addresses the particulars of
20 that one incident, and simultaneously would be a
21 significant improvement in their safety operations that
22 would be related to what took place in that incident.

23 DR. HILL: Thank you.

24 DR. POJE: Well, one of the broader
25 recommendations is the one to OSHA and EPA about the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issuance of joint guidelines for a good practice on
2 handling reactive chemicals. Is there any evidence
3 that would indicate the HSE or the Health Safety
4 Executive's efforts are paying off with improvements of
5 safety based upon their guidance, or is it too soon to
6 evaluate that?

7 MR. HOYLE: In actuality, the HSE, newly
8 published booklet on reactive chemical guidelines was
9 just published in May, in May. So it's just a few
10 weeks old. So there hasn't been time to ascertain that
11 yet. It's just too soon.

12 DR. POJE: And I'm also impressed by the
13 linkages between the evidence train that Dave Heller
14 and Richard presented and the linkages to root and
15 contributing causation and the flow of recommendations
16 from that.

17 There's one area that I'm still a little
18 bit hazy about. How would the recommendations address
19 the absence of relevant process safety information on
20 thermal analytical data that was absent in this case?

21 In other words, the recommendation had been
22 that additional work be done. Is the recommendation to
23 Morton International the one that would likely cover
24 gathering additional process safety information for all
25 reactive hazards within their domain, or is it the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 revalidation of PHAs that would likely generate such
2 additional information?

3 I would like the staff to look at that
4 closely because that is a key piece of evidence that
5 was examined in this case, and I'd want to make sure
6 that our recommendations put a lock on that issue as
7 well.

8 MR. HOYLE: Okay. I think that staff will
9 take that under consideration.

10 DR. TAYLOR: Any other questions?

11 (No response.)

12 DR. TAYLOR: Thank you.

13 Let me thank the staff for a very thorough
14 presentation and, more importantly, for their hard work
15 to get to this point. Thank you.

16 Some of you in the audience here may feel
17 that since Rohm and Haas no longer produces automate
18 Yellow 96 dye this investigation is now beside the
19 point. In my opinion, however, the issue of reactive
20 chemical accidents is an important one now and in the
21 future.

22 The Board is concerned that runaway
23 chemical reactions are responsible not only for the
24 Morton and Lodi explosions, but also for a number of
25 other serious accidents in recent years.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The area of reactive chemical hazards may,
2 in fact, become the subject of a future Board hazard
3 investigation. The Board follows with keen interest
4 OSHA and EPA's activities in the area of reactive
5 chemical hazards, and we urge those agencies to study
6 the Morton report if and when we approve and issue it.

7 The Board also notes that overseas
8 authorities, such as the British Health and Safety
9 Executive, have recently issued good practice
10 guidelines covering the use of reactive chemicals. Let
11 me reiterate that nothing from today's presentation to
12 the Board should be viewed as conclusive until the
13 Board has had the opportunity to review and vote on the
14 written report of the staff.

15 I will now recognize the staff
16 representatives from the New Jersey congressional
17 delegation for any statements or remarks they may have.

18 I'd ask that you approach the podium in the
19 front here and give us your name and your affiliation,
20 please.

21 MR. FLYNN: Good afternoon. I'm Mike Flynn
22 from the Office of Senator Robert Toricelli. I'm his
23 Director of Intergovernmental Affairs and resident of
24 Paterson.

25 And I'd just like to read a statement from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the Senator.

2 "I appreciate the U.S. Chemical Safety
3 Board holding the public review of findings here in
4 Paterson, the site of the April 1998 explosion at the
5 Morton Specialty Chemicals Paterson, New Jersey
6 facility.

7 "The citizens of New Jersey I represent
8 have a significant interest in the safety of the
9 chemical industry and other businesses, especially with
10 regard to the environment and public health.

11 "First, let me thank the United States
12 Chemical Safety and Hazard Investigation Board for
13 being so responsive to the situation at the Morton
14 facility. Today is a testament to your good faith and
15 diligence. The work you have done will contribute to
16 safe operations and accident prevention, as well as to
17 help improve the safety of chemical processes.

18 "I would also like to acknowledge the work
19 of the Passaic County Board of Freeholders, the Passaic
20 County Central Labor Council and PACE for their work in
21 Hazardous Prevention Act which creates a special
22 committee to give local citizens a vehicle for
23 addressing complaints about noise, hazardous waste, and
24 other industrial irritants.

25 "On the evening of April 8th, 1998, a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 violent explosion occurred at the Morton plant injuring
2 nine workers and releasing potentially hazardous
3 chemicals into the neighboring community. The
4 explosion and fire were the consequence of a runaway
5 reaction which over pressured a 2,000 gallon capacity
6 chemical reactor vessel. The resulting fire took over
7 three hours to control.

8 "Far from being an isolated incident in the
9 United States, chemical accidents occur regularly. In
10 fact, there are at least 100 serious chemical accidents
11 at fixed facilities in the U.S. each year. Indeed, who
12 can forget of the accident that occurred at Napp
13 Technologies in Lodi, New Jersey on April 21st, 1995,
14 which claimed five lives and injured many more?

15 "These accidents result in approximately \$1
16 billion worth of insured property losses each year,
17 with total losses being significantly higher.

18 "Let me make it clear that catastrophes
19 such as this affecting workers, families, and entire
20 communities must be prevented from ever happening
21 again. Citizens of New Jersey should never have to
22 question the safety of the businesses in their
23 communities.

24 "At the same time, businesses may improve
25 consumer confidence in their products by insuring the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 safety of their manufacturing processes. I believe
2 that we can insure a safe and health environment for
3 our communities, while also insuring a healthy economy.

4 They do not need to be mutually exclusive.

5 "That being said, I wholeheartedly support
6 the investigators' proposed recommendations. While
7 acceptance of these recommendations would go a long way
8 towards insuring environmental health and public
9 safety, we must do more in other areas, as well. For
10 instance, in 1997 alone over 11,000 environmental
11 enforcement actions had to be taken at the state and
12 federal levels.

13 "Sadly, it is also becoming much more
14 common for the defendants in these actions to be repeat
15 violators. In 1994, a chemical company in New Jersey
16 was fined \$6,000 for environmental violations. Just
17 four years later, the same chemical company was again
18 cited for an environmental crime, but this time 53
19 children and five adults had to be hospitalized, and
20 the EPA had to evacuate the local community.

21 "Incidents such as this are becoming all
22 too common. Under current law, the penalties for
23 repeat environmental violators or parties responsible
24 for environmental catastrophes resulting in serious
25 injury are inappropriately low. Indeed, paltry fines

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are insufficient deterrence for large corporations or
2 parties that repeatedly commit environmental crimes.

3 "Between 1994 and 1998, New Jersey had 774
4 repeat violators, more than any other state in the
5 nation. During that same period, more than 5,500
6 repeat violator facilities around the nation were
7 prosecuted, with more than 700 substances identified by
8 the EPA as hazardous. This lack of deterrence has
9 serious repercussions for the environment and public
10 health.

11 "In reaction to this and other cases like
12 this, I will soon introduce Zero Tolerance for Repeat
13 Polluters Act of 2000. This legislation will create
14 stiffer penalties for repeat violators of environmental
15 safeguards, and provides penalties that will more
16 accurately reflect the cost to public health and the
17 environment for catastrophic events.

18 "The bill will also give the EPA emergency
19 order and civil action authority to address imminent
20 and substantial endangerments of health and
21 environment, and creates a new EPA trust fund into
22 which recovered funds can be used to address other
23 significant threats.

24 "Catastrophes such as the events at Napp
25 Technologies and Morton Specialty Chemical can be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 prevented through increased vigilance and improved
2 prevention techniques. However, repeat environmental
3 polluters that negligently endanger the public with
4 their actions or inactions should not be tolerated. No
5 business should be able to endanger the public's health
6 and safety with only the threat of a slap on the wrist
7 hanging over them.

8 "I want to thank you again for allowing me
9 the opportunity to be heard on this issue. I look
10 forward to working closely with the U.S. Chemical
11 Safety Board in the future."

12 Thank you.

13 DR. TAYLOR: Thank you, Mr. Flynn, on
14 behalf of Senator Toricelli.

15 Are there any other congressional
16 representatives in the audience?

17 MR. ROSEN: Good afternoon. My name is
18 John Rosen. I'm here representing United States
19 Senator Frank Lautenberg.

20 And I'd like to thank the Board for this
21 opportunity to present some remarks in his behalf.

22 "I welcome the U.S. Chemical Safety and
23 Hazard Investigation Board to New Jersey and regret
24 that the congressional schedule does not allow me to
25 attend in person.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 "I visited the Morton Specialty Chemical
2 facility shortly after the tragic explosion in April
3 1998. So I am especially glad to see the Board nearing
4 completion of this investigation.

5 "No state stands to gain more from an
6 effective Chemical Safety Board than New Jersey. The
7 chemical industry is very important to the economy of
8 our state. With hundreds of chemical plants in New
9 Jersey, many of them directly abutting residential
10 neighborhoods, schools, shopping areas, busy
11 transportation routes, and other places where many
12 people are found, a safe chemical industry is of
13 extreme importance to all of us.

14 "That is why I fought to have the Board
15 funded for the first time two years ago and have
16 advocated for their funding ever since.

17 "The Chemical Safety Board has a unique
18 role in promoting chemical safety. The Board is
19 neither a regulatory agency, nor a mere reporter of
20 superficial observations. Rather, the Board is an
21 independent agency of the federal government whose job
22 is to dig deep and to identify the root causes of our
23 most serious chemical incidents, and to recommend the
24 measures necessary to prevent them.

25 "As we have heard today, the Board's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recommendations can go to government agencies and
2 private companies alike, and can address a wide range
3 of topics. The Board's previous accident reports have
4 been widely acclaimed, and I look forward to a Morton
5 explosion report that will be just as illuminating and
6 as effective in preventing future such tragedies in New
7 Jersey and elsewhere.

8 "Thank you."

9 DR. TAYLOR: Thank you, Mr. Rosen on behalf
10 of Senator Lautenberg.

11 Are there any other congressional
12 representatives?

13 (No response.)

14 DR. TAYLOR: If not, on behalf of the
15 Board, we certainly do appreciate the strong interest
16 of members of Congress in this undertaking.

17 I will now invite, and we're going to
18 lunch, as you can tell, and hopefully you'll stick with
19 us. Maybe the comments will be a little bit brief.

20 We will go through lunch to see how much
21 time we have for out public comment. Please abide by
22 the same guidelines as did the Board members. Kindly
23 limit your comments to five minutes and restrict the
24 subject area to the case at hand.

25 I'd ask that when you approach the podium

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that you also state your name and your affiliation.

2 Do I have a list of the names?

3 Hold on. We're going to take a ten minute
4 break before we start. I've been requested from a
5 Board member that we take a short break. Let's make it
6 five. Five minutes, is that good? Okay.

7 (Whereupon, the foregoing matter went off
8 the record at 12:06 p.m. and went back on
9 the record at 12:15 p.m.)

10 DR. TAYLOR: Okay. If everyone can take
11 their seats, please, again, I'd like to mention that
12 this is the public comment period, and if you can
13 please hold your comments to five minutes.

14 We have two members of city council on our
15 list, and before I call everyone else, I'd like to ask
16 if the city council person, Jeffrey Jones, if he's in
17 the audience. The councilman, Jeff Jones?

18 (No response.)

19 DR. TAYLOR: He's not here. Okay. What
20 about Congress person Gau (phonetic), Council Person or
21 Council Woman Gau?

22 (No response.)

23 DR. TAYLOR: Neither are here right now.
24 So we'll go through our list.

25 I'd like to call Mark Dubzic, please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: (Inaudible.)

2 DR. TAYLOR: Okay. Glenn Erwin.

3 MR. ERWIN: My name is Glenn Erwin, and I'm
4 (inaudible) Coordinator for PACE International Union.

5 I spent about 30 years working in the Amoco
6 organization in the oil and petrochemical industry on
7 the Gulf Coast before assuming this position as the
8 Health and Safety Coordinator for the union.

9 My principal job right now is to
10 investigate major catastrophic incidents within the oil
11 and chemical industry for PACE Union. I have been the
12 lead person on the ground in the most recent one in
13 Phillips 66 in Houston Texas.

14 I've also reviewed the -- we've had two
15 incidences at Phillips, one in June of '99, another one
16 in March the 27th of 2000. I reviewed the other in
17 June of '99, along with what information we've had on
18 the Morton explosion here and the Napp industry and the
19 Georgia Pacific, and I find that there's many
20 similarities.

21 They're almost to a point that you can
22 overlay with transparencies the problems that existed
23 within these different companies, and I submit to you
24 that had early action been taken on the Napp energy or
25 even the recommendations that's been laid out here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 today, had they have been already in place, the two
2 incidents at Phillips would not have taken place.

3 I think the Board has done a very good job,
4 and I think the recommendations are very good.

5 I do want to tell you some golden threads
6 that tend to weave all of these incidents together. I
7 know that the Board has not investigated the Phillips
8 incidents, but I'd like to take just a couple of
9 minutes and give you some highlights of that one, if
10 you don't mind.

11 First of all, we found that there's
12 insufficient institutional knowledge of the hazards
13 associated with reactives that chemical plants are
14 using today.

15 Another item -- well, that's highlighted in
16 this case. That's also highlighted in the Phillips
17 cases. They just didn't know the hazards of the
18 material they was dealing with or what could possibly
19 happen.

20 The next thing is there's a lack of
21 interlock systems to prevent incorrect blending of
22 amounts or incorrect blending of temperatures. These
23 are active controls, things that would present if you
24 flowed too warm of a temperature into a vessel, that
25 would keep you from putting the other material in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there.

2 There's active interlocks that can be in
3 place in all of the facilities that will prevent this
4 type of injuries.

5 The next thing is passive actions, passive
6 controls, such as procedures that will prevent human
7 error or blending amounts or temperatures or other
8 error likely situations, as was caused in this one.

9 There's also a lack of adequate equipment
10 to monitor or measure the pressures. You know, I found
11 in some of these incidents they did not even have on
12 vessels that contained reactive materials pressure
13 indicators or temperature indicators or even flow
14 indicators flowing amounts into it.

15 So it's a very critical thing within the
16 industry that we do not have even sufficient
17 information on what's going on.

18 Another thing that's very important is I
19 find that there's a lack of investigative programs or
20 techniques. Every fatality or major incident, these
21 included, had they have investigated their near miss or
22 lesser incidents and have implemented corrective
23 actions, these that we're looking at would not have
24 happened.

25 And if by chance they've done a decent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 investigation, more than often the recommendations are
2 not followed up on in a timely manner to make the
3 corrective action.

4 If a PHA was completed on equipment that
5 blew up, odds are on every one of them you'll find the
6 words "not applicable" at least once when they was
7 doing the review of this instant process.

8 And then there's three things that's very
9 important that I find were not in place in any of
10 these. Number one is the process was not equipped with
11 an inhibitor kill device. For almost all reactions,
12 there is some other chemical that you can introduce
13 into the reaction that will stop or kill the reaction
14 from taking place. That's a safeguard in case that the
15 reaction gets into the exponential rate of growth.

16 The next thing is that the processes do not
17 have adequate cooling or deluge systems that can stop
18 the reaction from taking place.

19 And the number one thing that I find is the
20 relief or the vent equipment is just not designed to
21 handle the reactions or the pressures that can be
22 generated from the reaction, and these are threads.
23 These are things that are common to all of these
24 incidents.

25 I've listed ten of them.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In the Lodi incident, I was a member of
2 OCAW at the time. OCAW was one of the unions that
3 petitioned for emergency temporary standard with OSHA.

4 Several trade organizations opposed it, and OSHA has
5 not acted.

6 But from that time in '95, we have had the
7 Georgia Pacific in '97. We've had the Morton
8 International in '98. We've had Phillips in 1999,
9 where there was two dead and several injured. And then
10 the most recent one was March the 27th of this year.
11 We had one fatality, 74 people injured, eight of them
12 with third degree burns over 50 percent of their body
13 that are life threatening illnesses. These people will
14 never be able to come back to work.

15 I believe now that we have the opposition
16 we had when we asked for emergency temporary status was
17 they said there's not been enough of them. I believe
18 the body count is high enough, and we're having at
19 least one a year, that it's time that more be done.

20 I would like to have seen the Board request
21 that emergency temporary status, but I realize that the
22 Board has not investigated the last two incidents that
23 I have, the ones at Phillips. I wish they had have
24 been able to come in, but in light that you don't have
25 that information by not having investigated, then PACE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 stands ready to stand with the Board to work with this
2 Board in a hazard investigation of reactive chemicals.

3 We would ask to be part of that. We think
4 the Board is wise in taking that approach.

5 And on the recommendations that they asked
6 for PACE to comply with the last recommendation to
7 disseminate the material to our members, I stand here
8 to tell you that PACE International will distribute to
9 its 320,000 members the Morton incident and the
10 recommendations and try to make a change in the work
11 place as fast as we can.

12 Thank you for your time.

13 DR. TAYLOR: Thank you, Mr. Erwin, and it
14 was also within the five minute time frame. I was
15 counting.

16 MR. ERWIN: Thank you.

17 DR. TAYLOR: Very good.

18 Are there any questions of Board members of
19 Mr. Erwin?

20 (No response.)

21 DR. TAYLOR: No. Thank you very much.

22 Diane Stein.

23 MS. STEIN: Good morning. Thank you.

24 It's not morning anymore, is it?

25 I'm Diane Stein. I'm with PACE, Local

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 2149, which represents the workers at Morton Chemical.

2 I want to thank the Board and the staff for
3 the job that they've done in this investigation. I
4 think it's clear that the need for the Board is
5 crucial, that we need an independent agency in this
6 country that goes in after these chemical catastrophes
7 and does a root cause analysis.

8 It's beyond the scope of OSHA. It's beyond
9 the scope of EPA, and we need an agency such as
10 yourself in order to do these things and to come up
11 with the recommendations that can be shared industry-
12 wide.

13 I would like to urge you to rethink what
14 the staff's recommendation has been on OSHA's role and
15 what your recommendations to OSHA can be. I'm
16 reiterating a little bit of what Glenn said, but I want
17 to go a little bit beyond that.

18 Since the PSM standard was introduced in
19 1992, we've had a number of years now to look at the
20 experience that companies have had complying with PSM,
21 and I think there's a lot of evidence out there now
22 about what the weaknesses of it are, and we need to
23 rethink; we need to relook at it to try to strengthen
24 it where the weaknesses are apparent.

25 In our shops, it is clear -- Glenn

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mentioned this a little bit -- that when you go in and
2 look at PHAs they're often not adequate. He talked
3 about the fact that with our incidents and you look at
4 the "what if" scenario. You can often find "N/A" as
5 not applicable with something that clearly was.

6 It's a major problem with PHAs, and I think
7 that we need to encourage OSHA to relook at that part
8 of the standard to strengthen it and make enforcement
9 of that part a bigger priority.

10 I'm glad that the recommendation is that
11 you're going to make the recommendation for guidelines
12 for OSHA. I don't think that it goes far enough. I
13 think that whether you say that you don't want to base
14 a recommendation on creating a standard on one incident
15 alone isn't really the question.

16 According to your own statistics, there are
17 100 serious incidents per year. So I don't think that
18 you need to necessarily wait for another study to come
19 out. There's enough data out there now that shows that
20 voluntary compliance to good practices isn't happening
21 enough; that if we have 100 serious incidents a year,
22 there's clearly a need for regulation, and I would ask
23 you to consider strengthening the recommendations of
24 the staff to include that in your final report.

25 I want to just reiterate something that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 came up verbally, but in your written recommendations
2 it lists as in the incident description that the causes
3 of the incident were that the steam used to initiate
4 the reaction was left on too long, and the use of
5 cooling water to control the reaction was not initiated
6 soon enough.

7 I think there's an understanding here that
8 this was not operator error, but I want to reiterate
9 that; that the lead operator on duty that night had 31
10 years of experience, and in our review of the case, we
11 found that followed the standard operating procedure to
12 the letter. So that that may have been the cause, but
13 the cause was not operator error.

14 And, again, I believe that you understand
15 that, but I wanted to make that very clear for
16 everybody.

17 I'm trying to keep to the five minutes and
18 cut out things you don't need to hear.

19 DR. TAYLOR: Okay. You've got one minute
20 left.

21 MS. STEIN: Okay. We'd also like to ask
22 you to consider a more formalized approach to the
23 effect on communities. The communities are at risk
24 from these incidents, and we urge you to include a
25 systematic approach when you're assessing your impact

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at the impact on the community in all of your
2 investigations.

3 And it's our belief that even where shelter
4 in place has not occurred, there may be risks that
5 aren't apparent at first glance in terms of exposure to
6 intermediate chemicals that are produced in the course
7 of a reaction.

8 We'd like you to take a more systematic
9 approach to looking at that.

10 I want to reiterate Glenn's commitment that
11 PACE will support the study, and we'd like very much to
12 participate in it if that's the route you choose to go.

13 And I'd also like to acknowledge that Rohm
14 and Haas, in conversations with them, has supported
15 what we believed the recommendations would be, and that
16 we're looking forward to working with them, and that we
17 call on Rohm and Haas and all responsible chemical
18 companies to join with us in calling on OSHA to
19 promulgate regulations to prevent these incidents.

20 Thank you.

21 DR. TAYLOR: Thank you very much.

22 Dr. Phil Lewis.

23 DR. LEWIS: Good morning. My name is Phil
24 Lewis, and I'm Vice President and Director of
25 Environmental Health and Safety for Rohm and Haas.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And for 15 years I've worked at Rohm and
2 Haas Company in the area of environmental health and
3 safety and speak to you today as a representative of
4 the company an of the Paterson facility.

5 As the Board is aware, Rohm and Haas
6 Company acquired Morton International and the Paterson
7 plant on June 21st of '99. Today the Paterson plant is
8 part of the Rohm and Haas manufacturing enterprise, and
9 we aggressively moving to introduce the Rohm and Haas
10 Company operating procedures into the plant.

11 In a minute I will address the specific
12 efforts underway at the plant to respond to the
13 recommendations of the Chemical Safety Board staff to
14 insure a safe facility not only for the employees, but
15 for the community.

16 I could think of few more frightening
17 experiences than the fire/explosion at a chemical
18 plant. For the employees at the Paterson plant, I'm
19 sure it was a traumatic event and that it will stay
20 with them for the rest of their lives. It certainly
21 will with us.

22 Employees were injured, and fortunately all
23 have returned to work. We cannot, however, minimize
24 the disruption to their lives that this incident has
25 caused.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The community, as well, has been
2 interrupted with the frank realization of the problem
3 of a major fire in the neighborhood.

4 It is for these reasons we are here today,
5 I, in particular, to work together to prevent accidents
6 at chemical facilities and demonstrate the ability of
7 all our facilities to serve as safe employers and
8 neighbors.

9 Rohm and Haas Company uses safety as a core
10 value of the company. The best action a facility can
11 take after an incident such as the one we are
12 discussing today is to commit itself to insuring that
13 future operations are done as safe as possible, and
14 this company has directed its energies to rebuilding
15 the Paterson plant and its processes. It is my hope
16 that this hearing is another step for the core
17 restoration of both employee and community confidence
18 in the Paterson plant, and in particular, in the Rohm
19 and Haas Company.

20 The Chemical Safety Board is uniquely
21 qualified to help in this effort. When the Board was
22 proposed nearly ten years ago, Rohm and Haas Company
23 was the first and perhaps the most visible supporter of
24 the establishment of the Board.

25 The Board conducts independent, highly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 technical investigations that can look across
2 individual facility incidents in a positive way to
3 improve manufacturing processes and to assure safety in
4 our industry.

5 We support your role and welcome your
6 investigation at the Paterson plant.

7 We have carefully reviewed the draft report
8 and have already offered substantial technical
9 comments. With our changes which we understand are
10 likely to be adopted in the final report, we find the
11 draft report to be professional and a thorough
12 investigation of the events that have led up to the
13 explosion.

14 The report is extremely helpful as a basis
15 to insure the health and safety of employees at the
16 Paterson plant are fully protected. We agree in
17 principle with the recommendations that the staff has
18 outlined today. In fact, most of the recommendations
19 have already been implemented at the facility.

20 I would like to detail the specific actions
21 taken by the plant since the explosion and Rohm and
22 Haas Company's acquisition of the facility last June.

23 First and most importantly, as has been
24 mentioned here, Yellow 96 is no longer manufactured
25 anywhere in the company, and to our knowledge, it is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not manufactured anywhere in the industry.

2 Additionally, there are no other processes
3 used in our plants that have the unique thermal
4 characteristics of the Yellow 96 production process.

5 Discontinuing that product was not the only
6 action taken. The next six actions I will outline
7 address the recommendations that the staff made to you.

8 Rohm and Haas Company has a longstanding
9 commitment to process safety management. As an
10 additional measure, Rohm and Haas has committed to
11 treating all reactive chemistries at Paterson as though
12 they are OSHA regulated process safety management
13 processes.

14 Rohm and Haas has also conducted regular
15 process hazard analysis. All PHAs at the Paterson
16 plant are current and will be reevaluated every five
17 years, whenever new information or hazards are
18 uncovered.

19 Thermal stability standards or studies are
20 being conducted for all reactive chemistries at the
21 Paterson plant. Nearly all chemistries have been
22 tested, and the result of those studies indicate that
23 emergency release systems currently at the plant are
24 adequate for the design processes.

25 This testing is being done as a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 precautionary measure and is an example of our
2 commitment to safety.

3 Analyses are being conducted to determine
4 what additional interlocks or quench systems are
5 necessary at the Paterson plant. Rohm and Haas has
6 identified one interlock that is needed, and it will be
7 installed within the near future.

8 No quench systems have been identified at
9 this point.

10 The Paterson plant is in the process of
11 revising its standard operating procedures. Operators
12 are being trained with the most current information
13 available. Any remaining SOPs for reactive chemistries
14 and the accompanying training are scheduled for
15 completion by the end of August.

16 A new Safety Director has been recruited
17 for the Paterson plant. This person is in position now
18 and has been trained in the state of the art Apollo
19 investigation techniques. These skills that this
20 person brings to the plant will further enhance our
21 ability to remedy issues before they become problems.

22 Rohm and Haas Company is deeply committed
23 to the tenets of responsible care. Our goal is to
24 insure that none of our plants around the world pose a
25 risk to employees or the community.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Throughout the company we have a
2 comprehensive management system for assessing process
3 hazards, sharing them across the organization and
4 communicating widely throughout all of our worldwide
5 facilities any new information, including key learnings
6 from near misses, other safety incidents, and research
7 studies.

8 That commitment starts with the
9 Manufacturing Council, headed by Tom Archibald, Vice
10 President and Director of Operations and Manufacturing
11 for Rohm and Haas Company, and assures that all the
12 information necessary to operate our facility safely is
13 shared and understood throughout the company.

14 I understand I'm at the limit of my time.
15 Let me say just to sum up that we believe that
16 continually reducing the risks associated with chemical
17 processes is important. We believe we all need to work
18 together to do that.

19 I would caution the Board and everyone here
20 to remember though that there is no such thing as
21 absolute and zero safety. No matter what we do, there
22 are residual risks.

23 There are, however, vast benefits to
24 chemistries that we provide in those products. We look
25 forward to working with you to insure that we can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 provide those benefits and continually reduce the
2 risks.

3 Thank you.

4 DR. TAYLOR: Thank you, Dr. Lewis, for your
5 comments.

6 I'd like to remind you if you are not
7 allowed to complete your comments or you would just
8 like to submit written comments to the Board, you may
9 do so. We have as our deadline Friday, which is July
10 21st. So please submit those, or you can give those if
11 you have them already typed and written -- you can
12 leave those with Bill Cogan who just walked through the
13 door or Maureen Wood, who is standing in the back.
14 There she is on that side if you have anything you'd
15 like to give us today.

16 Otherwise it can be submitted also by E-
17 mail. Our Web address is www.chemsafety.gov.

18 Moving along with our public comment, Mr.
19 Robert Oliver.

20 PARTICIPANT: (Inaudible.)

21 DR. TAYLOR: Thank you.

22 Steve Mart (phonetic).

23 PARTICIPANT: (Inaudible.)

24 DR. TAYLOR: Thank you.

25 Ted Carrington.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CARRINGTON: Good afternoon. My name
2 is Ted Carrington, Local 2149, PACE. I'm presenting
3 this testimony on behalf of the New Jersey Work
4 Environment Council, a statewide organization composed
5 of unions, workers, community and environment groups or
6 organizations, where I serve as a field organizer.

7 WEC supports the rights of workers and
8 citizens to monitor chemical safety and take action to
9 prevent hazardous conditions. The organization also
10 supports stricter regulations of explosive chemicals
11 and systematic approach to chemical safety by chemical
12 companies.

13 The mix of industry, transportation, and
14 residential communities in New Jersey has many negative
15 public health implications. One particular troublesome
16 outcome is that our citizens breathe unhealthy air one
17 out of every three summer days.

18 This is not news to residents of cities
19 like Paterson where foul air is common, nor was it a
20 surprise last month when WEC released a report
21 identifying the proximity of public schools in Paterson
22 and Clifton to industrial facilities storing or
23 emitting to the air high volumes of toxic chemicals.

24 Our research found that the top five
25 industrial air polluters in Paterson are all within a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mile of at least eight public schools. Rohm and Haas,
2 formerly Morton, the subject of today's hearing, is
3 within a mile of three public schools in Paterson and
4 one in Elmwood Park.

5 Why should members of the community be
6 concerned about the proximity of homes and schools to a
7 company like Rohm and Haas?

8 First, because the facility in Paterson,
9 like many other chemical makers across the state,
10 stores and uses a variety of dangerous chemicals,
11 including xylene.

12 Second, many of these chemicals have both
13 long and short term health effects, and WEC is,
14 therefore, concerned not only about the hazards posed,
15 but also the chronic effects of chemical exposure.

16 Finally, in the event of chemical
17 emergencies on the scale of the 1998 explosion being
18 discussed today, WEC contends that most emergency
19 medicine providers are unprepared to address the
20 variety of health effects that can develop from
21 exposure to the tens of thousands of chemicals now in
22 industrial use.

23 WEC fully supports proposals made today for
24 stricter federal laws regulating the use of reactive
25 chemicals.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 WEC also supports an approach to chemical
2 safety that examines entire chemical manufacturing
3 systems in an effort to determine root causes of
4 incidents like the 1998 explosion at Morton.

5 Using this approach, teams of workers and
6 managers conduct comprehensive investigations of each
7 incident or near miss and work together to develop
8 remedies.

9 However, given the lack of resources at
10 federal and state agencies charged with environmental
11 and occupational safety, and given the reluctance of
12 many employers to address safety concerns of employees
13 and neighbors, WEC also believes that workers and
14 citizens alike should be deputized to monitor hazardous
15 conditions and prevent accidents when necessary.

16 In Passaic County, Resolution 35 allows
17 citizens and workers concerned about health threats
18 from local facilities to call in experts and to
19 petition the county health officer, who can then
20 conduct an on-site survey of facilities.

21 It also stipulates that neighbors and
22 workers can accompany the health officers inside
23 facility premises unless employers refuse to allow
24 their participation.

25 When it passed last year over the protests

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of New Jersey's chemical manufacturing industry,
2 Resolution 35 became the first law of its kind in the
3 country. Today this ground breaking law has the
4 potential to provide citizens with the power to go
5 beyond the right to know to the right to act.

6 It is WEC's belief that laws like
7 Resolution 35 and even stronger measures that give
8 citizens and workers the unconditional right to inspect
9 dangerous facilities can help prevent the needless
10 injury, illnesses, and even death that can result from
11 serious chemical explosions like the incident in Morton
12 in 1998.

13 Thank you.

14 DR. TAYLOR: Thank you for your comments.

15 Mr. Bill Kane.

16 MR. KANE: Good afternoon.

17 DR. TAYLOR: Good afternoon.

18 MR. KANE: My name is Bill Kane. I'm the
19 President of the New Jersey State Industrial Union
20 Council, which is a council of unions representing over
21 300,000 workers in the State of New Jersey from various
22 industries, including PACE and UNITE.

23 In reading the materials that were
24 provided, I mean, very thorough materials, let me just
25 -- when I was driving over here this morning I was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thinking about this Board, and I was thinking about the
2 Transportation Safety Board and the Chemical Safety
3 Board and the difficult job that you folks have of
4 trying to figure out and investigate these incidents.

5 And I thought about the Transportation
6 Safety Board maybe even having an easier job than you
7 folks do because what they see is pretty clear, and
8 it's not as vague.

9 But I thought sitting here reading this
10 stuff; I said to myself, "I wonder what would happen.
11 I wonder what the Transportation Safety Board would do
12 if a pilot was bringing a plane into Newark Airport and
13 instead of slowing the plane down to whatever the
14 landing speed it he just decided he was going to land
15 at 500 miles an hour and maybe not put the landing gear
16 down and happened to survive."

17 I just wonder what the Transportation
18 Safety Board recommendation would be about that guy if
19 he happened to walk away from that plane. Obviously
20 they would probably put him in a mental institution or
21 they'd at least have him arrested or fired.

22 And then I looked at the incident at Morton
23 and I said to myself, "Well, who would be the
24 equivalent of being the pilot at Morton?" You know,
25 and it has to be the plant manager, I would assume, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the flight crew would have to be the technical
2 engineers and the professionals that are supposed to
3 make sure that these things don't happen.

4 Somebody forgot to put the landing gear
5 down. Somebody forgot to slow the plane down to proper
6 landing speed, and those "somebodies" ought to have
7 more than a recommendation made to them to implement
8 the standards that they already had in place that they
9 ignored.

10 And your report, quite frankly, points that
11 out. In the summary, when you look at number five or
12 number four, it says that he did not adequately follow
13 recommendations made in 1989 to make tests to determine
14 the rate of reaction and the rate of decomposition or
15 to put safety devices on this equipment. That was
16 ignored by management.

17 They changed the semi-batch to the batch
18 system. Anybody that I know that ever worked in a
19 chemical plant will tell you that's a synonym for
20 speed-up. They get more done quicker that way.

21 Number five or number seven on your report
22 talks about running a process at 153 degrees, and it
23 clearly hindered the operator's ability to control the
24 reaction. And operators reported to management
25 temperature runaways. Management did nothing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Changing the batch size gave a very clear
2 warning that temperature excursions had increased.
3 Changing the batch size is probably another synonym for
4 speed-up. They were told that excursions were
5 increasing. They ignored it.

6 Their internal PSN program did not address
7 excessive heating, runaway reactions, and the inability
8 to provide enough cooling. The operators' reports of
9 batch deviations caused by temperature deviations were,
10 again, ignored by management.

11 It's like the flight attendants trying to
12 tell the pilot that the wheels aren't down and he's
13 ignoring them.

14 The PSAM program did not require the use of
15 industry good practices. Workers weren't warned of the
16 dangers. They weren't trained properly, and they were
17 ignored.

18 So I wonder what this Board's
19 recommendation would be if the entire plant blew up, if
20 the neighborhood was subjected to some catastrophic
21 incident that annihilated scores of people. I would
22 assume we would go after the people responsible.

23 The State of New Jersey is the most densely
24 populated state in the United States. Almost anywhere
25 you put a chemical plant, there's going to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 population. If there's a major chemical incident at
2 that chemical plant, there's going to be a catastrophe.

3 I would simply say in your recommendations,
4 I understand the recommendation for the guidelines that
5 OSHA and EPA should issue. I allowed the process that
6 you have them go through, but, in fact, when Napp
7 exploded, which is represented by another of our
8 affiliates, in 1995, many unions petitioned OSHA for an
9 emergency standard, and this is another clear
10 indication that that standard was needed.

11 So I would recommend very, very highly,
12 given the nature of this state, given the nature of the
13 increased evidence that these reactive processes are
14 being handled in less than a dangerous way; I would
15 highly recommend that this Board recommend to OSHA that
16 they issue an emergency standard.

17 Thank you very much.

18 DR. TAYLOR: Thank you, Mr. Kane, for your
19 comments.

20 Sergeant Eric Zimmerman.

21 SGT ZIMMERMAN: Again, good afternoon.
22 Greetings to everyone.

23 Okay. In light to everything that I
24 observed here thus far, basically the incident that
25 took place on April 8 in 1998 affected me personally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because my family was less than a block and a half away
2 from ground zero of the Morton incident, meaning my
3 mother, my sister, and two nieces.

4 Okay. I had difficulty, as Mr. Gerald Poje
5 -- is that correct? -- with the aspect of the kettle
6 reactor. Okay. If this was something that was
7 designed in 1962 and we're dealing with chemicals like
8 Yellow 96, that's something that I would look at and
9 suggest it be state of the art for the 21st Century.

10 What type of nomenclature and redesign was
11 utilized on the kettle design if they expanded it from
12 1,000 to 2,000 gallons? What type of response was
13 taken by Morton in making sure that if they was going
14 to up-scale production of Yellow 96; what preventive
15 measures were taken to alleviate a reaction of that
16 multitude and under whose guidelines other than that
17 which was utilized in London, England, within the
18 United States were they allowed to do such a thing in
19 close proximity with that?

20 It seems like, okay, for an example, and
21 Mr. Kane, too. I appreciate what you spoke of using
22 NTSB in conjunction with that because I would like to
23 use the United Auto Workers and other facilities that
24 mass product automobiles.

25 If you utilize a car that's from vintage

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 1962, you know you're going to have to find parts to
2 replace it at some point for wear and tear in order for
3 a smooth function and reaction from the vehicle.x

4 At the same level acts with a chemical
5 reactor that was utilized at Morton. I mean, was there
6 the glass lining on the kettle you examined for any
7 type of faults? Were any other cooling devices that
8 were utilized to make sure that the reactor temperature
9 didn't go into a runaway situation, as was before
10 mentioned?

11 What type of safety procedures did OSHA
12 have in house, and were there any OSHA representatives
13 in house at Morton Chemicals during the time of this
14 incident that could have interceded along with, yes,
15 the management and the supervisors who were so trained
16 to respond to emergency reactions as such?

17 And you know, basically I'm baffled by it.

18 Another thing that troubles me is there was
19 another incident as before mentioned -- a lot of them
20 go unnoticed -- with the Hetarine (phonetic) Chemical
21 Company, which is maybe two blocks difference from
22 Morton, when they had a chemical reaction.

23 In that same community there was exposure
24 to residential citizens. There was a young man that
25 passed away that attended PS No. 20, and Passaic County

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Board of Freeholders had a hearing inside PS No. 20
2 auditorium in the same week after the young man passed,
3 and they also had a hearing at the County
4 Administration Building, but there was no concrete
5 evidence or no reasons really given in the
6 investigations of due cause to that.

7 There were a lot of citizens that
8 complained from the April 8th incident, and there were
9 also complaints further from the incident which I don't
10 know the exact date, but they had a marine chemical
11 accident.

12 But the exposure that the citizens are
13 facing this with this is astronomical, and I feel it's
14 unsafe, and it's fear. I mean, most of the majority of
15 citizens at Paterson aren't versed in chemical
16 reactions or chemical guidelines per se in general, but
17 I think this would be something that's in a simplified
18 form that should be issued out to the community as a
19 warning on how to prepare for such things or even other
20 guidelines given as assistance to them in the form of
21 whatever apparatus they might need to protect
22 themselves in the even that there's a chemical reaction
23 or release again in the future.

24 I versed myself a lot, and I know I'm going
25 beyond my time, with Mr. Carrington a lot on issues

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because I live right now in the backdrop. I live less
2 than 200 yards from Brown Chemical Company in Paterson,
3 New Jersey. In Brown Chemical, we had a few incidents
4 there within the last ten years, the last decade, that
5 went unsung.

6 We had emergency response from Paterson PD
7 and the Fire Department and Sheriff's Department
8 Hazardous Response Team. But still the citizens suffer
9 from this.

10 And again, like Mr. Carrington mentioned,
11 it's in close proximity for public school. We have PS
12 No. 21 and PS No. 10 right in the vicinities of those
13 areas.

14 I guess my question is: what can be done
15 for the citizens of Paterson either through the U.S.
16 Chemical Safety Board or through OSHA and the EPA to
17 prepare us so that we know how to troubleshoot and
18 protect ourselves and our families in the event that
19 another occurrence like this, God forbid, takes place.

20 DR. TAYLOR: Thank you very much for your
21 comments, Sergeant Zimmerman.

22 I know with this report we did not address
23 the issue of the surrounding community environmental to
24 the extent of making recommendations on improvements
25 that can be made. We're in the process now, as was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mentioned by one of our staff members, in working with
2 the Agency for Toxic Substances and Disease Registry to
3 develop a plan for addressing community issues such as
4 the ones that you've raised, and hopefully, God forbid,
5 if there's a future incident somewhere, we will be up
6 to speed on some of the environmental impacts and
7 address the part of what could be addressed as far as
8 community involvement.

9 SGT. ZIMMERMAN: Okay. In closing, one
10 last comment. I would like to suggest similar to
11 before my time what was done during the time they had
12 the missile crisis going on, the missile threats from
13 the former Soviet Union and the United States. There
14 were drills that were given to the citizens of the
15 United States, emergency warnings where they had
16 fallout shelters, and so on and so forth, to take
17 place.

18 Have we come to that level yet where we
19 need that for basic population, the citizens in the
20 surrounding areas, the most densely populated state,
21 New Jersey?

22 My answer is yes, and I think something on
23 that level should be looked at and observed.

24 DR. TAYLOR: Okay. Thank you for your
25 comments.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Jim Nash from Occupational Hazards.

2 MR. NASH: Jim Nash, Occupational Hazards
3 Magazine.

4 I just have a question, and that is whether
5 the Board's deliberations on this matter will be made
6 in public and whether the transcripts from that will be
7 placed on the Internet.

8 I thought there was a commitment to that in
9 December, but I could be mistaken.

10 DR. TAYLOR: If they're not made available
11 on the Internet, you can also request a copy based on
12 the FOIA request, Freedom of Information Act. We will
13 have transcripts available from our offices.

14 MR. NASH: (Inaudible.)

15 DR. TAYLOR: The deliberations on our
16 voting? No. We will review the report and vote
17 separately as individual Board members, but there will
18 not be another deliberation. This is the actual review
19 of the public findings.

20 Thank you.

21 DR. POJE: Just to clarify, the Board
22 members will receive the next iteration of a draft of
23 the report. There will be a full written report
24 submitted by the staff to us. Each of the Board
25 members will receive that. We'll be charged with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reviewing it. We'll have a certain date to have
2 completed our review.

3 We'll either sign it as accepted as is,
4 with minor modifications, rejected it with major
5 modifications requested, and that will be the
6 deliberative process that we'll use.

7 We won't sit in a session like this and
8 say, "Who votes yes or who votes no?" because of the
9 media matter associated with a scores of page report.

10 So just to have everybody understand, there's not a
11 meeting somewhere in Washington where we'll deliberate.

12 There will be a transmission to each of us
13 Board members. We'll review that. We'll sign an
14 acceptance or rejection with justification for why, and
15 if it's accepted by us all, then it will become our
16 official Board report, as the others that you've seen
17 outside.

18 DR. TAYLOR: And once it becomes an
19 official Board report, it then will be on the Web site
20 for downloading as the other reports have been made
21 available. Okay?

22 Okay. Ray Stever.

23 MR. STEVER: For the record, it's Stever.

24 My name is Ray Stever.

25 DR. TAYLOR: Stever.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. STEVER: I'm Vice President of PACE
2 Local 2149, staff to the IUC, and I'm also the
3 Executive Vice President of the Passaic County Labor
4 Council.

5 I worked very hard with Ted Carrington in
6 developing the neighborhood hazardous prevention law,
7 which is the only law in the country, and it's right
8 here in Passaic County. This law was developed to help
9 communities and companies and workers work hand in hand
10 in developing safety.

11 Napp, Morton, Phillips, they were all
12 tragedies, and we need to be very conscientious of
13 training our employees and making sure safety is a
14 priority in our communities.

15 It was weird before when I was listening to
16 the members over there speak about how in England in
17 developing these programs you have the law, you have
18 the legislation, you have business, and organized
19 labor, and that seems to be missing in this country.

20 Nobody wants to listen to the unions, and
21 yet unions develop the health and safety programs that
22 not all, but many companies adopt to protect the
23 workers.

24 We have an abundance of knowledge. Yet
25 there are many companies out there that refuse to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 listen. There are many companies out there that find
2 cost to be more important to them than the safety of
3 their workers.

4 Now, companies are vital to the existence
5 of communities. Communities are vital because they
6 supply the workers to the companies. But communities
7 cannot have catastrophes happen.

8 I was at School 20 when we spoke to the
9 Freeholders about the development of this law, and I
10 spoke to the security guard there, the woman who has
11 been affected by the Heridan explosion or the
12 catastrophe that they had that affected the school.

13 Paterson is very dense in itself, not even
14 so much the State of New Jersey. There are chemical
15 plants around the corner scattered around. Now, this
16 isn't just the point of chemical plants, but it's a
17 point of companies taking a responsibility and training
18 and educating, listening to the people, to the
19 community, to the unions just to know what the process
20 is.

21 Because where I come from, the company I
22 work for, even though it's pharmaceutical, I'm the head
23 of the Health and Safety Committee there. I speak with
24 the company. They listen, but yet they go by a lot of
25 the laws. OSHA regulations limit us to this. So we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 only go up to this threshold.

2 What I heard today went beyond any
3 threshold, went beyond limitations placed by OSHA. And
4 why are some of these limitations placed? Because our
5 own government places the limitations upon OSHA. They
6 won't let them expand. They won't let them give them
7 more power.

8 It isn't to restrict business. Business is
9 good, and we need to work hand in hand, but business
10 needs to listen and our government needs to listen
11 because without business there's no communities, and
12 without communities there's no business.

13 Thank you.

14 DR. TAYLOR: Thank you for your comments.

15 Eric Frumin.

16 MR. FRUMIN: Good morning or good
17 afternoon.

18 DR. TAYLOR: Good afternoon.

19 MR. FRUMIN: My name is Eric Frumin. I'm
20 the Director of Occupational Safety and Health for the
21 labor union UNITE.

22 We represent thousands of people who either
23 live or work here in Paterson, in Passaic County, and
24 we also represented the workers at the Napp
25 Technologies Company plant in Lodi, New Jersey. Two of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those workers are here today, Jim Gannon, who was an
2 operator and a survivor of that explosion, and Al
3 Giles, who was a lead maintenance mechanic -- master
4 mechanic.

5 I would like to thank Senators Lautenberg
6 and Toricelli for the interest and support they've
7 shown for the Board and for chemical safety. I
8 certainly thank the Board and the staff for the hard
9 work you've done on the Morton investigation and on the
10 reactivities issue in particular.

11 And of course, to thank our brothers and
12 sisters at PACE Local 2149 and the International Union
13 for their work on chemical safety.

14 The explosion at Morton revealed once again
15 a gaping loophole in OSHA's process safety management
16 standard. OSHA has known about this loophole since it
17 finished its investigation of the Napp tragedy and
18 issued its citation in October '95.

19 The explosion at Napp involved thousands of
20 pounds of powdered aluminum. Under the right
21 conditions, powdered aluminum reacts like gunpowder.
22 At that point the mixing vessel at Napp was no longer a
23 so-called blending machine. It was more like a rocket
24 or a bomb.

25 The day after the explosion at Napp, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 surviving workers and managers assembled at our union
2 hall here in Paterson. One of the management personnel
3 asked the company's president where was the chemist?

4 Well, there were two answers to that
5 question. Dr. Fred Schaefer, Napp's Vice President for
6 Regulatory Affairs, who had a record of falsifying his
7 professional credentials and violating environmental
8 laws, had been at home at the time of the explosion,
9 but to the best of our knowledge, he was in command of
10 the situation by phone, and in our view was responsible
11 for the order to reverse the earlier evacuation, to
12 withhold notification to the Lodi Fire Department two
13 blocks away.

14 That decision or that combination of
15 decisions sent five men to their deaths and resulted in
16 extreme injuries to other workers, emergency service
17 personnel and the Saddle River. It also terrorized the
18 community.

19 Where was the chemist?

20 The other answer to the man's question was
21 really another question. How could anyone be so
22 incredibly incompetent as to allow a mixture of 5,000
23 pounds or more than that of explosive powdered aluminum
24 to smoke and sputter and still not declare an imminent
25 emergency?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 At the Napp company the management was
2 demonstrably incompetent. The incident at Napp thus
3 provides a stunning example of the need for strict OSHA
4 regulations on even the most obvious chemical hazards.

5 OSHA and EPA prepared their 1997 report on
6 the Napp incident and requested a review of it by,
7 among others, Mr. Gerald Scanol, the President of the
8 National Safety Council, former Director of OSHA, and
9 former corporate Director of Health and Safety for
10 Johnson & Johnson.

11 In '99, he reviewed the OSHA-EPA report and
12 said it was inadequate because it failed to adequately
13 investigate, quote, management standards and best
14 practices to improve safety in the industry, such as,"
15 and I'm continuing to quote, "the qualifications,
16 credentials, and competence of the managers involved in
17 the decision making from new product review to
18 emergency response. This review was especially
19 important in light of the apparent bad decisions by
20 management as the crisis developed."

21 Scanol then concluded, "One of the major
22 recommendations of the OSHA-EPA report is essentially
23 that companies should comply with the existing
24 regulations. Do companies not know about the rules?
25 Aren't they worried about the consequences of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 noncompliance or don't they think they'll ever get
2 caught?" This is all Scanol's words.

3 Essentially he said the question is: why
4 did this company ignore the law, and what should be
5 done to reduce the likelihood of companies ignoring the
6 law in the future?

7 It is completely unacceptable that such
8 reactive material are exempted from OSHA's process
9 safety management standard. When OSHA finished its
10 investigation in 1995, OSHA clearly stated its
11 intention to change the PSM standard to cover reactive
12 chemicals more effectively.

13 Unfortunately, even though OSHA has
14 repeatedly announced its intention to close this
15 loophole, OSHA has been unable to do so. We mean no
16 disrespect to OSHA. We understand they're busy. We,
17 in fact, are asking them to change many other
18 standards, and indeed, there could be a root cause
19 investigation of why they've delayed.

20 But it simply inexcusable that this delay
21 continues to this date. We call upon the Chemical
22 Safety Board to strongly urge OSHA to move as quickly
23 as possible to take action on the severe hazard posed
24 by reactive chemicals.

25 The exclusion of highly reactive chemicals

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from OSHA's or even moderately reactive chemicals from
2 OSHA's PSM standard still endangers workers and
3 communities. It is high time that OSHA put chemical
4 industry managers clearly on notice.

5 There are a number of managers from the
6 chemical industry today. I hope others will pay
7 attention to what we say here.

8 To you managers, no matter what you tell us
9 about your ability to properly manage chemicals,
10 workers in the community are entitled to the strictest
11 regulations possible, including detailed requirements
12 for management competence and performance.

13 So not only where was the chemist, but who
14 was the chemist and what did he or she know?

15 And we also say to you: no matter what you
16 think, no matter how safe you think your process is,
17 you have to prepare for the worst and give workers a
18 chance to protect themselves.

19 We appreciate the Board's investigation,
20 the staff's work, the recommendations for a proposed
21 study. We understand there is a need for the best
22 available information in setting new standards,
23 especially in light of the rank ignorance and
24 incompetence which the chemical industry managers have
25 displayed both at the Napp incident and at Morton.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But until OSHA changes those standards and
2 chemical industry managers comply with decent
3 standards, workers and communities will live in fear,
4 and as a nation we must do much better.

5 Thank you.

6 DR. TAYLOR: Thank you, Mr. Frumin for your
7 comments.

8 I'd like to --

9 MR. FRUMIN: I have a written version of
10 that I'll supply for the record.

11 DR. TAYLOR: Great, and you will provide
12 that. Thank you.

13 The next name is Michael --

14 MR. McAULAY: No comment. Michael McAulay.

15 DR. TAYLOR: Okay. Thank you. McAulay.

16 Jim Gannon with UNITE.

17 MR. GANNON: Hi. I'm Jim Gannon. I work
18 in Napp Chemical.

19 I was about 90 feet from the TK when it
20 exploded.

21 I'd like to thank the Board for letting me
22 speak here today.

23 One of the bright or positive things that
24 came out of the Napp explosion was this Chemical Safety
25 Board.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The only thing I see that's the same
2 between Morton and Napp was Morton started at eight
3 o'clock in the evening. Although the Napp explosion
4 happened at 7:43 on the 21st of April, it was started
5 the night before.

6 I believe these things can be prevented by
7 requiring a qualified chemical engineer to be on site
8 while the process is being done or to take it to a
9 point where there is no more danger.

10 We had two people at Napp in management who
11 were forced into retirement in a downsizing in 1993.
12 They had a procedure of any batches that were critical
13 or involved hazardous chemicals, they were started and
14 finished on the day shift, and when possible, they were
15 started on the day shift. People were kept overtime,
16 and they were taken to a point where they could be put
17 on hold, and then the following day the process was
18 picked up again and finished by the day shift.

19 They're always whipping up new things in
20 the lab, new batches. A chemical operator is a
21 chemical operator. He's educated by on-the-job
22 training. When a new batch comes along, he's not a
23 chemical engineer, and he can't notice things or pick
24 up things that a chemical engineer would pick up,
25 things that aren't normal.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I don't know. Words like "financially
2 unfeasible" shouldn't come into play when you're
3 talking about safety and human life.

4 It should be done on a day shift or
5 chemical engineers should be, you know, kicked out of
6 bed and made to come on the second and third shift when
7 necessary when dealing with hazardous chemicals.

8 And it's just my opinion, and I've said it
9 to a couple of politicians before, that I don't think
10 you're going to see a change in attitude with the
11 chemical industry. You're talking about a multi-
12 billion dollar industry. So if you fine them a couple
13 of million dollars, they don't care.

14 Until there's laws passed where if people
15 have, because of incidents like this, suffered
16 debilitating injuries or death, when you start talking
17 about criminal penalties and jail time, I think then
18 you'll see a difference in attitude.

19 Thanks a lot.

20 DR. TAYLOR: Thank you very much for your
21 comments.

22 It says FF Andrew Morabito.

23 MR. MORABITO: Fire Department, ma'am.

24 DR. TAYLOR: Oh, the Fire Department.
25 Thank you. Fire Fighter.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MORABITO: My name is Andy Morabito.
2 I'm an investigator with the Paterson Fire Department.

3 I've been on the department for about 13
4 years, investigating for about the last six. This was
5 what we call in the department "my fire" that night
6 when it came in, and I did the initial investigation of
7 the incident.

8 That included going to the hospital to
9 interview the people who were operating the kettle at
10 the time the explosion occurred.

11 I've just got a couple of questions. Maybe
12 I should have asked earlier when the Board was asking.

13 I sort of had the impression it was just you guys who
14 can ask the questions, but I'd actually like to ask a
15 couple of questions of the investigators.

16 Before I do, I want to point out one thing.

17 I know it was stated that it was about a 30 minute
18 response for the fire department. I realize you guys
19 didn't term the response was 30 minutes. It's just the
20 words you used.

21 The Passaic Fire Department was on the
22 scene within three to four minutes after the first call
23 was made, and standard procedure with a HAZMAT incident
24 such as this would have been to wait until we
25 determined what was burning in there before we start

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 putting water on it, before we create a much worse
2 situation than we already had.

3 The fact that water didn't go on that fire
4 for approximately 20 minutes or so really didn't have
5 much to do with the actual damage that was caused.
6 Most of that was caused by the initial explosion, and
7 in fact, there was relatively little fire damage to the
8 structure itself, given the kind of incident we had.

9 I had a personal friend of mine tell me he
10 saw the explosion from across the river and described
11 quite, quite an explosion, literally a fire ball
12 hundreds of feet above the top of the building.

13 So anyway, I just want to make it clear
14 that PFD, Paterson Fire Department, was on the scene
15 very quickly, and we followed all kinds of standard
16 procedures in terms of putting any water on this fire
17 before we determined what actually was burning.

18 A few things I want to ask, and I'm not
19 here to assign blame. We have no -- what's the word
20 I'm looking for? -- we have no agenda here. I don't
21 care. We're just called to a scene to discover the
22 cause and origin of a fire, and that was my job that
23 night.

24 When I went to the hospital that night, I
25 interviewed a few people who were operating the kettle

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that night and who gave me good first hand information
2 as to what they saw occur.

3 The following day a meeting was held with
4 the management from Morton Chemical at which time I
5 expressed some of the things I had heard that night
6 from the operators, and I was given the distinct
7 impression by one of the managers -- I'm not going to
8 get into names unless you want me to do that. That's
9 all in my report -- that procedures were not being
10 followed by the operators of the machines, not the
11 recommended procedures.

12 Now, my question to the Board is sort of a
13 couple of questions. This recipe sheet, which I was
14 given the day after the fire and which was Morton's way
15 you mix this batch up, this recipe sheet was given to
16 me, and I noticed that the date created was August
17 23rd, 1990. It was revised five years later.

18 And one of the questions I want to ask is:
19 did you ever get a hold of the original sheet, and why
20 was it revised? I.e., why fix something that isn't
21 broken kind of?

22 I'm just wondering did you ever get a hold
23 of the original batch sheet.

24 PARTICIPANT: (Inaudible.)

25 MR. MORABITO: Okay. And again this is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just sort of PFD now. Is it your contention that had
2 this procedure been followed by the letter, that this
3 would not have occurred? This incident would not have
4 occurred, or are there things in this batch sheet that
5 are incorrect and, if followed by the letter, chances
6 are this incident would have occurred anyway?

7 DR. TAYLOR: Mr. Morabito, thank you for
8 your comments.

9 If you have some additional information, we
10 may not be able to answer all of the questions that you
11 have now, but if you could pass that information to our
12 investigators.

13 MR. MORABITO: Sure.

14 DR. TAYLOR: Remember that our final report
15 has not been issued yet. So we'll take the information
16 that you have.

17 MR. MORABITO: Okay. So there is no answer
18 really to this question as to whether or not you
19 believe that if the procedure had been followed as
20 written out by the Morton managers that this would not
21 have occurred.

22 DR. TAYLOR: I don't think we can answer
23 that right now, no.

24 MR. MORABITO: You can't answer that now.
25 Okay. All right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Thank you very much.

2 DR. TAYLOR: Thank you.

3 Syl Turicchi.

4 MR. TURICCHI: My name is Syl Turicchi.

5 DR. TAYLOR: Turicchi.

6 MR. TURICCHI: And in light of the late
7 hour here, I'll be as brief as I can. I'm with the
8 Center for Chemical Process Safety, and I'm the senior
9 manager of that group.

10 First of all, I'd like to applaud the
11 Chemical Safety Board's efforts here in sorting through
12 some of these incidents and the work that you're doing
13 to make recommendations to improve safety performance
14 and the situation here, help reduce incidents, and so
15 forth. I think it's a tough task, and you guys are
16 doing a good job working on it.

17 CCPS is a nonprofit organization, and our
18 mission really is similar to or like or in cooperation
19 really with your mission. We're committed to develop
20 engineering and management practices and work processes
21 to help mitigate these types of incidents.

22 I just wanted to report that we do publish
23 books. We hold conferences. We develop training
24 courses, and we do have a conference coming up in
25 October where, in fact, this incident is going to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presented and reviewed and discussed.

2 So part of the recommendation to
3 disseminate this information, we're going to act on
4 that pretty quickly.

5 We've also just published a book last year
6 on batch reaction, process safety and batch reaction
7 processes, and a lot of good information is in that
8 book, and in fact, we're also about to release a new
9 process safety management system assessment tool called
10 Pro Smart that I think, you know, when used to take a
11 look at management processes for process safety
12 management could help people understand where
13 weaknesses are and fill in the blanks around making
14 improvements.

15 So I just wanted to update the Board on
16 those activities that we're working on, and in fact, we
17 are also doing some work around the hazardous and
18 reactive chemicals, and probably would like to be
19 involved in that work as it goes forward, too.

20 Thank you very much.

21 DR. TAYLOR: Thank you, Mr. Turicchi, for
22 your comments and we appreciate your assistance.

23 Any other comments, public comments?

24 (No response.)

25 DR. TAYLOR: Any final comments from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Board?

2 (No response.)

3 DR. TAYLOR: Then hearing none, thank you,
4 again, for attending this meeting, and this meeting is
5 now adjourned.

6 (Whereupon, at 1:20 p.m., the meeting in
7 the above-entitled matter was concluded.)

8

9

10

11

12

13